

# PUBLIC HEARING

## WHITES POINT QUARRY AND MARINE TERMINAL PROJECT

### JOINT REVIEW PANEL

---

#### V O L U M E 4

---

HELD BEFORE: Dr. Robert Fournier (Chair)  
Dr. Jill Grant (Member)  
Dr. Gunter Muecke (Member)

PLACE HEARD: Digby, Nova Scotia

DATE HEARD: Wednesday, June 20, 2007

PRESENTERS: -Bilcon of Nova Scotia  
Mr. Paul Buxton  
-Transport Cda and Atlantic Pilotage Authority  
Jim Cormier/John Prentiss/Gary MacCaul/Steve  
Bone/Patrick Gates/Mike Freeman/Alan Milne  
-Fisheries and Oceans Canada  
Mike Murphy/Dave Bishara/Ian Marshall/David  
Millar/John Tremblay/Ted Potter/Kent Smedbol  
Tana Worcester/Tony Henderson/Norman Cochrane  
-Dalhousie University  
Mr. Chris Taggart  
-Jerry Ackerman  
-Leslie Wade  
-Linda O'Neil

---

Recorded by: A.S.A.P. Reporting Services Inc.  
200 Elgin Street, Suite 1004 Ottawa, Ontario K2P 1L5  
130 King Street W., Suite 1800 Toronto, Ontario M5X 1E3  
613-564-2727 (Ottawa Office) / 416-861-8720 (Toronto Office)  
613-564-7756 (Ottawa Fax) / 416-946-1693 (Toronto Fax)  
1-888-661-2727 (Toll Free)

Per: H el ene Boudreau-Laforge, CCR

768  
DEPARTMENT OF FISHERIES AND OCEANS  
(VARIOUS PRESENTERS)

1 Species at Risk Coordinator for the Oceans and Habitat  
2 Branch, and it's M-i-l-l-a-r.

3 THE CHAIRPERSON: We have you all, then.  
4 I understand you're going to make a presentation now.

5 **PRESENTATION BY DEPARTMENT OF FISHERIES AND OCEANS - VARIOUS**  
6 **PRESENTERS**

7 Mr. MIKE MURPHY: Yes. Thank you very  
8 much.

9 In terms of the presentation, we've  
10 provided you with the presentation already, and in the  
11 interests of time, I think I'll move to the middle of the  
12 presentation and leave out a lot of the roles and mandate  
13 and our involvement in the project and go directly to the  
14 middle where we talk about the overview of issues related to  
15 DFO's mandate.

16 I'd like to review some of DFO's  
17 findings, recommendations and outstanding questions as a  
18 result of our review of the Proponent's information.

19 Our presentation will highlight the main  
20 findings around marine mammals and blasting, marine mammals  
21 and shipping, fish and blasting, and this is on a variety of  
22 fish and shellfish species, lobster and blasting, invasive  
23 species, and fish habitat.

24 My colleagues and I will address any  
25 detailed questions in these areas after the presentation.

769  
DEPARTMENT OF FISHERIES AND OCEANS  
(VARIOUS PRESENTERS)

1 Human activities in or near the ocean  
2 often transmit sounds under water, and some of these sounds  
3 can have a range of effects on marine mammals from no  
4 response to small behavioural changes, masking of hearing,  
5 temporary or permanent changes in hearing sensitivity to  
6 non-auditory injury such as haemorrhage and direct fatality.

7 In general, sound propagation modelling  
8 conducted by the Proponent and reviewed by DFO predicts  
9 sound levels in the water column at 500 metres to be 185  
10 decibels as the worst case estimate for a single blast, and  
11 we understand a single blast to mean a single shot.

12 It is important to note that noise  
13 levels for distances other than those at the water line and  
14 at 500 metres were not modelled.

15 The US National Marine Fishery Service  
16 has been using 180 decibels root mean square as the maximum  
17 acceptable exposure level to impulsive sounds for cetaceans.

18 To compare these thresholds to the sound levels predicted  
19 for the Whites Point Quarry Project, five decibels should be  
20 added to this value to arrive at an exposure level of 185  
21 decibels.

22 DFO assumes there is a risk of potential  
23 effects within 500 metres, and this is reflected in the DFO  
24 guidelines for the use of explosives in or near Canadian  
25 fisheries waters, which states that no explosive should be

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

770  
DEPARTMENT OF FISHERIES AND OCEANS  
(VARIOUS PRESENTERS)

1 detonated within 500 metres of any marine mammal.

2                   While the zone of disturbance of marine  
3 organisms by sound may extend beyond the 500-metre safety  
4 zone, it is considered unlikely that blasting would result  
5 in physical effects on marine mammals, endangered or  
6 otherwise, beyond 500 metres.

7                   However, there may some behavioural  
8 effects, but it is uncertain what this would be and whether  
9 they would have any long-term impact on an individual or  
10 population, considering the amount of blasting.

11                   There may be some subtle behavioural  
12 effects on marine mammals beyond 2,500 metres from the blast  
13 site. However, these are not expected to result in overall  
14 changes to the distribution of the population or other  
15 population scale impacts.

16                   The 500-metre safety zone, which states  
17 no blasting in this zone when marine mammals are observed or  
18 known to be present, and the 2,500-metre safety zone for  
19 endangered marine mammals are expected to reduce the  
20 potentials for harmful impact of blasting on marine mammals  
21 under good visibility conditions.

22                   The use of a trained observer to monitor  
23 the 2,500-metre and 500 metre-safety zone would need to be  
24 in place to ensure marine mammals are not in these areas  
25 prior to a blast.

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

771  
DEPARTMENT OF FISHERIES AND OCEANS  
(VARIOUS PRESENTERS)

1                   However, there is some uncertainty as to  
2 the ability to detect and identify marine mammals at  
3 distances of 2,500 metres, particularly under poor  
4 visibility conditions such as fog, rain or waves.

5                   It is not clear, from the information  
6 provided by the Proponent, when observation from a boat  
7 would be conducted to improve the chance of sighting marine  
8 mammals and how much this would increase the effectiveness,  
9 especially in poor visibility.

10                  The following research and monitoring  
11 recommendations would help to verify the predictions  
12 included in the environmental assessment.

13                  Validate acoustic modelling using the  
14 initial blast in near and far field locations prior to  
15 operational blasting and arrival of endangered right whales  
16 in the Bay of Fundy.

17                  This would include measuring the  
18 underwater blast sound levels at 500, 1,000 and 2,500 metres  
19 plus at the margin of the right whale core area during  
20 blasting conducted outside the time when endangered whales  
21 are present in the Bay of Fundy.

22                  After this initial blast, there should  
23 be visual observation of marine mammal behaviour before,  
24 during and after operational blasting when whales are  
25 present. This would be conducted in areas of known marine

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

772  
DEPARTMENT OF FISHERIES AND OCEANS  
(VARIOUS PRESENTERS)

1 mammal aggregations.

2                               Verifying the effectiveness of visual  
3 observation methods at 2,500 metres from the blast site is  
4 also recommended, including determination of the average  
5 site visibility conditions.

6                               Use of ongoing passive acoustic  
7 monitoring should also be considered.

8                               Opportunities to link up with other  
9 research initiatives such as university research should be  
10 considered.

11                              I'll now move to marine mammals and  
12 shipping.

13                              It is understood that shipping has the  
14 potential to affect marine mammals through noise and ship  
15 strikes. However, the project is not expected to  
16 significantly increase shipping in the Bay of Fundy.

17                              Just using the pilotage numbers for the  
18 Port of Saint John, the relative increase in large vessel  
19 traffic from the proposed project would be approximately six  
20 percent.

21                              The main mitigation in place for ship  
22 strikes in the Bay is the new shipping lane. The new  
23 shipping lanes which came into effect on July 1, 2003 were  
24 expected to reduce the likelihood of a right whale suffering  
25 a ship strike in the Bay of Fundy by up to 80 percent.

773  
DEPARTMENT OF FISHERIES AND OCEANS  
(VARIOUS PRESENTERS)

1                   Now, biologists at the Centre for  
2 Coastal Studies in Provincetown, Massachusetts think the  
3 reduction is closer to 95 percent. Also, the route from the  
4 shipping lane to the quarry is not a known aggregation area  
5 for whales, including right whales.

6                   The Proponent has also stated that the  
7 ships will decrease speeds once leaving the shipping lanes.  
8 Our information was to below 10 knots. I understood this  
9 morning now to 12 knots, which will further reduce the  
10 likelihood of lethal strikes.

11                   However, given that the shipping  
12 companies would likely not be under the direct control of  
13 the Proponent during transit, it is not clear how some of  
14 the proposed mitigation will be controlled by the Proponent.

15                   Shipping noise. It is possible that the  
16 higher levels of ambient noise in the ocean have reduced the  
17 ability of right whales to hear mating calls over large  
18 distances, perhaps reducing mating opportunities.

19                   As noted previously, the Proponent has  
20 indicated that the ships will decrease speeds once leaving  
21 the shipping lanes, which will also reduce the noise from  
22 ships approaching or leaving the quarry.

23                   If this project were to proceed, it  
24 would be advisable to make baseline measurements of bulk  
25 carrier noise around the terminal and nearby areas of



774  
DEPARTMENT OF FISHERIES AND OCEANS  
(VARIOUS PRESENTERS)

1 potential environmental sensitivity.

2 Fish and blasting, potential effects.  
3 Studies by DFO show that an over-pressure in excess of 100  
4 kiloPascals will result in damage to the swim bladder, the  
5 gas-filled organ that permits most fish to maintain  
6 buoyancy. The kidney, liver, spleen and sinus venous may  
7 also rupture and haemorrhage.

8 Fish eggs and larvae also may be killed  
9 or damaged.

10 Department of Fisheries and Oceans has  
11 prepared the guidelines for the use of explosives in or near  
12 Canadian fisheries water to provide information to  
13 Proponents on the conservation and protection of fish,  
14 marine mammals and their habitat from impacts arising from  
15 the use of confined or unconfined explosives in or near  
16 Canadian fisheries waters.

17 These guidelines provide methods and  
18 practices which, if incorporated into a project proposal,  
19 are intended to prevent or avoid the destruction of fish or  
20 any potentially harmful effects to fish habitat that could  
21 result from the use of explosives.

22 Using DFO's guidelines, the Proponent  
23 would need to maintain a setback distance of at least 33.7  
24 metres in order to meet the DFO guideline criteria of less  
25 than 100 kiloPascals over pressure. DFO has requested that

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

775  
DEPARTMENT OF FISHERIES AND OCEANS  
(VARIOUS PRESENTERS)

1 the Proponent increase the separation distance by a factor  
2 of three, to 100 metres when inner Bay of Fundy stock of  
3 salmon, an endangered species, would be present.

4 Our information is that this is between  
5 May and October. I believe the Proponent said May to  
6 September.

7 This would ensure the shock waves from  
8 blasting are well below the levels that could cause injury  
9 or death. Any behavioural reaction would likely be a brief  
10 startle response, with no impacts to the individual or  
11 overall population.

12 Monitoring of the initial blast levels  
13 near shore should be required to confirm these calculations.

14 Blasting and potential effects on  
15 lobster. DFO's guidelines on the use of explosives in or  
16 near Canadian fisheries waters are based on impacts on fin  
17 fish, and therefore do not necessarily apply to lobsters,  
18 which lack the sensitive swim bladder.

19 The Proponent's modelling predicts that  
20 the pressures at even the closest location in the water are  
21 not expected to exceed 216 decibels.

22 There's very little information on the  
23 impact of blasting on lobsters. The most relevant and  
24 recent information we are aware of is a study done by DFO  
25 staff in Newfoundland examining the impact of seismic noise

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

776  
DEPARTMENT OF FISHERIES AND OCEANS  
(VARIOUS PRESENTERS)

1 on lobsters.

2                   This research demonstrated that adult  
3 lobster exposed to seismic sound levels of 227 decibels  
4 showed no mortality or significant injury.

5                   It should be noted, however, that non-  
6 lethal effects were observed in the recent lobster research  
7 with respect to feeding and biochemistry, with effects  
8 sometimes being observed weeks to months after exposure. A  
9 histochemical change was also noted in the hepato-pancreas,  
10 tamale, of animals exposed four months previously.

11                   These initial studies were meant to be  
12 exploratory in nature, and caution is warranted about over-  
13 interpretation of these results. Also, the recent study did  
14 not include an assessment of noise on lobster eggs or  
15 larvae.

16                   Given that some uncertainty on the  
17 impact of blasting on lobsters remains, a monitoring program  
18 with input from DFO should be implemented if this project  
19 proceeds.

20                   Potential impacts from invasive species.  
21 Aquatic invasive species have already been responsible for  
22 significant impacts on some native fish species in Canada.

23                   Annually, the problem is responsible for  
24 billions of dollars in lost revenue and control measures.

25                   During the late 1990s, two invasive

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

777  
DEPARTMENT OF FISHERIES AND OCEANS  
(VARIOUS PRESENTERS)

1 species of tuna kit were determined to be having a  
2 detrimental impact on numerous shellfish aquiculture sites  
3 in Nova Scotia. The European green crab originally arrived  
4 in a ship's bilge water and have moved up the coast from  
5 Cape Cod.

6 For this project, the determination of  
7 likelihood of effects is challenging in that one successful  
8 introduction in colonization from one vessel discharge can  
9 lead to local and regional effects.

10 One of the main mitigation measures is  
11 the Ballast Water Management Regulations. These Regulations  
12 require ballast water exchange for vessels travelling  
13 between points south of Cape Cod, Massachusetts and Canadian  
14 waters.

15 These Regulations are administered by  
16 Transport Canada and were addressed in their presentation.  
17 Also, the risk of invasive species increases with the rate  
18 of shipping.

19 As previously mentioned, the relative  
20 increase in shipping for this project is low, but it still  
21 must be recognized that it only takes one successful  
22 colonization to result in regional impacts.

23 Monitoring may help detect possible  
24 invasive species in the early stages of colonization.  
25 However, depending on the species, eliminating or

778  
DEPARTMENT OF FISHERIES AND OCEANS  
(VARIOUS PRESENTERS)

1 controlling the introduced species after it is detected can  
2 be difficult or impossible.

3 Fish habitat. The marine terminal would  
4 be built using pilings, which are less destructive to fish  
5 habitat than a traditional in field wharf. However, the  
6 installation of the pilings will result in some habitat  
7 loss.

8 The extent of marine benthic habitat  
9 affected by the pilings would be approximately 40 square  
10 metres.

11 If the project proceeds, an  
12 authorization under Section 35 of the **Fisheries Act** would be  
13 required and the proponent would be required to establish or  
14 enhance fish habitat in accordance with DFO's policy for the  
15 management of fish habitat.

16 This policy contains the guiding  
17 principle of no net loss of productive capacity of fish  
18 habitat through habitat compensation.

19 As part of its Environmental Impact  
20 Statement, the Proponent has provided an initial  
21 compensation plan using artificial reef structures for a  
22 site near the proposed terminal. DFO's conducting research  
23 on various artificial habitat structures to evaluate which  
24 are best for habitat enhancement for various species,  
25 including lobsters.

779  
DEPARTMENT OF FISHERIES AND OCEANS  
(VARIOUS PRESENTERS)

1                   If this project proceeds, DFO will use  
2 this research and information from similar projects to  
3 ensure appropriate fish habitat compensation is developed by  
4 the Proponent. Also, as a component of the compensation  
5 plan, the Proponent will be required to monitor the project  
6 to ensure it is providing the required compensation for lost  
7 productive capacity.

8                   In some situations, habitat can be  
9 harmfully altered by the release of sediments which covers  
10 habitat, affecting feeding or reproductive areas in both  
11 fresh water and marine environments.

12                   DFO works closely with the Nova Scotia  
13 Departments of Environment and Labour and Natural Resources  
14 in protecting fish habitat from sedimentation arising from  
15 projects regulation by Provincial legislation.

16                   Mitigation and monitoring of sediment  
17 from quarry, mines and pits are typically requirements of  
18 Provincial approvals, and DFO will often review monitoring  
19 information and recommend additional mitigation if there is  
20 a concern that sediment levels may affect fish habitat.

21                   If the project proceeds, in addition to  
22 the mitigation measures proposed earlier, DFO recommends  
23 monitoring in the following areas.

24                   Noise from blasting and shipping at  
25 various locations and times of the year to verify noise

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

780  
DEPARTMENT OF FISHERIES AND OCEANS  
(VARIOUS PRESENTERS)

1 level predictions, including a representative blast prior to  
2 the presence of right whales in the area.

3 Marine mammal behaviour observation  
4 during blasting events using qualified observers.

5 Monitoring of habitat compensation for  
6 various species, including lobster, as well as a monitoring  
7 program developed with DFO input on the impact of blasting  
8 on lobsters.

9 Sediment monitoring at the settling  
10 pond's outfall or other potential sediment source areas.

11 Monitoring for invasive species near the  
12 terminal.

13 If the project proceeds, DFO will  
14 continue with our regulatory role, specifically applying the  
15 **Fisheries Act** and **Species at Risk Act** to those components of  
16 the project which interact with DFO's areas of interest.  
17 There are other areas, such as ballast water management,  
18 where we can provide expertise, but we do not have a  
19 regulatory role.

20 If monitoring was to show that the  
21 project was having unacceptable impacts on fish or fish  
22 habitat, including marine mammals, DFO would address these  
23 issues through the **Fisheries Act** or **Species at Risk Act**.

24 Fisheries and Oceans Canada looks  
25 forward to the recommendations from the Joint Review Panel

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

1 and, shortly thereafter, the Federal Government will provide  
2 a formal response to the Panel findings. Thank you.

3 **PRESENTATION BY THE DEPARTMENT OF FISHERIES AND OCEANS -**  
4 **QUESTIONS BY THE PANEL**

5 THE CHAIRPERSON: Thank you very much.

6 One issue of some interest to us is  
7 whether, in fact, DFO has any experience with other coastal  
8 quarries. There was recently a coastal quarry that was  
9 under way in British Columbia, I remember.

10 Are there others, Newfoundland, anywhere  
11 else, where you've had experience?

12 Mr. TED POTTER: Your reference to BC is  
13 the Orca Quarry, and here in Nova Scotia in Aulds Cove and  
14 Martin Marietta (ph), Porcupine Mountain on the Strait of  
15 Canso. That's right next to the water.

16 THE CHAIRPERSON: Are there lessons to be  
17 learned from these other quarries?

18 Mr. TED POTTER: In that particular site,  
19 we're not dealing with species at risk in that immediate  
20 vicinity, similar to the right whale or inner Bay of Fundy  
21 salmon. There are things we've learned with regard to  
22 infilling the rocks, habitat compensation issues.

23 THE CHAIRPERSON: What about the British  
24 Columbia experience? That is some ways is similar to this  
25 one, is it not?



1                   Mr. TED POTTER: It's similar in some  
2 ways, but in other ways it's different. Different species,  
3 again. So, you know, and you have the same general project  
4 components from quarrying to shipping, ships coming in, the  
5 conveyor belt. And so that information from this project  
6 and work done there has been exchanged back and forth.

7                   THE CHAIRPERSON: So there, what you're  
8 saying is that the information obtained in those other  
9 places is not translatable; it doesn't translate to this  
10 project, not even in generalities.

11                  Mr. TED POTTER: No, in a general sense,  
12 yes.

13                  THE CHAIRPERSON: Can you convey any of  
14 that wisdom to us? Is there anything there that you should  
15 flag for us, or anything of importance?

16                  Mr. TED POTTER: Well, in a, from a DFO  
17 perspective, we focus our attention on fish and fish  
18 habitat, and in the case of these quarries, unless there's  
19 diversion of a stream, fish bearing waters, we look at the  
20 marine terminal aspect of the project.

21                  Quite like, as a general sense, we look  
22 at the footprint of the facility, what's that going to be,  
23 is that a solid structure, is it on piles, will there be  
24 free-flow, what's the sources of sediment, will the sediment  
25 be going into the fish bearing waters, and we will also use

1 the guidelines for use of explosives near fish bearing  
2 waters.

3 THE CHAIRPERSON: What about some of the  
4 issues that were just identified, the five, the list, the  
5 five, of invasive species, for example? If I'm not  
6 mistaken, the project in the west coast is actually moving  
7 into the U.S., is it not?

8 Mr. TED POTTER: The, looking at the  
9 invasive species, we're working here on the east coast, we  
10 take it from a zonal perspective. So we're working here on  
11 the east coast through a committee that's been set up, and  
12 it's to look at what species we have here.

13 The primary mitigation that's used is  
14 the similar thing that's being considered on the west coast,  
15 which is the ballast transfer zones. So those things are  
16 very similar.

17 Ms. JILL GRANT: A few questions about  
18 the species at risk. As you just identified, that's a  
19 different issue here. So I understand under SARA that when  
20 a species at risk is likely to be affected there is some  
21 kind of notification that happens. Does that happen in this  
22 project?

23 Mr. TED POTTER: In general sense, in  
24 this case, for this project, when it was initiated, the  
25 Department of Fisheries and Oceans was lead RA, responsible

1 authority, for both the **N** **P** **A** and  
2 the **F** **A** . We are not in the practice of sending  
3 letters to ourselves, given that we initiated it, so we were  
4 aware of it from the onset.

5 When the file, when Transport Canada  
6 received the Navigable Waters Program, there was no need for  
7 them to send back a notification on a file that we had  
8 already initiated. So the responsible authority in this  
9 case, DFO, for the marine mammals and marine fish, was well  
10 aware, and we were working in close collaboration with  
11 Environment Canada for the migratory birds and any bird  
12 species that fall under the **S** **R** .

13 Ms. JILL GRANT: And can you clarify for  
14 me whether the meaning of "likely effects" is the same under  
15 SARA as it is under the CEAA legislation? It seems like  
16 it's a little bit different. Can you clarify what the  
17 meaning of "likely effects" would be?

18 Mr. KENT SMEDBOL: Yeah, and it's used  
19 slightly differently in Section 79(1) from 79(2), so in  
20 79(1), the requirement for notification is likely effects,  
21 and it's not just adverse, and it's not just significant.  
22 It's any effect, there should be notification.

23 So even if your project is going to  
24 benefit a species at risk, and even if it's not a  
25 significant benefit, it's just minimal, whatever the effect

DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PANEL)

1 is, you're supposed to do the notification. So we don't use  
2 that same significance criteria in the **S A R A** .

3 And also, under 79, it doesn't have to be adverse.

4 Under 79(2) it's about identifying  
5 adverse effects, but again, you don't have that word  
6 "significant" in there. Under 79(2), you're supposed to  
7 identify any adverse effects, and if there is an adverse  
8 effect you're supposed to take measures to reduce that  
9 effect and to monitor it.

10 So again, we don't put that significant  
11 threshold in the **S A R A** . We would expect that  
12 any adverse effect at all, minimization should be in place,  
13 mitigation, as well as monitoring. So I think that's the  
14 big difference is that we don't put a focus, under the  
15 **S A R A** , on whether an effect is significant or  
16 not, because with **S A R** we want any adverse effect  
17 to be managed, effectively. So I guess that's the big  
18 difference.

19 Ms. JILL GRANT: And am I right in  
20 understanding that if there's likely to be any effect under  
21 SARA that's some kind of permit, if there's any kind of  
22 potential harm, some sort of permit would have to be issued?  
23 Is that correct?

24 Mr. KENT SMEDBOL: If there's an  
25 expectation that there would be... Basically, there's a

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

1 section of SARA called the "Prohibitions", which you may or  
2 may not be aware of, which is, you know, you cannot harm,  
3 kill, harass, there's a series of them, capture, take, a  
4 species at risk.

5                   And so if you expect that one of those  
6 prohibitions would be violated, then if someone wanted to  
7 proceed with an activity that was going to cause that  
8 violation, then they would need a permit in order to avoid  
9 potentially facing penalties under the **S A R A** .

10                   So the question then becomes is the  
11 activity going to violate one of those prohibitions, and if  
12 there is an expectation that it is likely that it would  
13 violate one of those prohibitions, then the Proponent would  
14 need that permit, if they wanted to protect themselves from  
15 prosecution or from penalties under the **S A R A** .

16                   Ms. JILL GRANT: So in this case, you've  
17 indicated that there is some possibility of physical harm  
18 from ship strikes, and some possibility of behavioural  
19 effects.

20                   Can you give us an idea of what kind of  
21 behavioural effects are possible in the species at risk,  
22 especially the right whale?

23                   Mr. KENT SMEDBOL: Possible, so you're  
24 thinking non-lethal? With behavioural, I assume you mean  
25 non-lethal. It really is quite a range there. It would

1 tend to group into things. I think that it would affect  
2 behaviour on a relatively long-term basis, and those that  
3 would affect behaviour very quickly or quite, what's the  
4 word that I'm looking for. Anyways. Quickly gone.

5                   They can, for fish... Well, let's start  
6 with marine mammals. If we look at things such as noise,  
7 then some suite of behaviours that may be changed include  
8 things like feeding behaviour, socialization, logging at the  
9 surface, which is just the animals resting.

10                   It's difficult to say what the animal,  
11 what a particular animal will actually do in response to a  
12 particular event. There is a large variation in individual  
13 behaviour [inaudible].

14                   Some of the controlled studies that have  
15 been done in the U.S., for instance, using noise playbacks  
16 to right whale, in particular, some whales will stop doing  
17 whatever they're doing and just hold to and listen. Others  
18 are oblivious and continue on with what they're doing.  
19 Others change from one behaviour to another. So for  
20 instance, if they're involved in feeding dives, they'll stop  
21 diving and they'll swim along the surface.

22                   It's difficult to pinpoint a particular  
23 type of behaviour resulting from a particular stimulus.

24                   Ms. JILL GRANT: And my understanding of  
25 some of the studies that were done in Trinity Bay,

1 Newfoundland, in I think that's humpback whales, but in the  
2 1990s there was a lot of drilling and blasting and...

3 Mr. KENT SMEDBOL: The Bblleoram, yes.

4 Ms. JILL GRANT: Yes. Do you have some  
5 indication on the kinds of results that that had?

6 Mr. KENT SMEDBOL: There are two cases  
7 from Bblleoram of actually humpback whales washing up dead  
8 on the surface. Post-op necropsies highlighted damage to  
9 inner ear structures that were likely caused by severe over-  
10 pressure, but this could not, they could not link blasting  
11 in Bblleoram directly to those whale deaths.

12 Sudden lethal behavioural changes, the  
13 suite of things that were seen in that, in the Bblleoram  
14 situation are similar to what's been seen in most studies  
15 that have looked at the effect of noise and marine mammals.

16 This is actually a large field,  
17 especially brought to prominence again in the last several  
18 years because of the use of mid-range, mid-frequency sonars  
19 by U.S. Navy. So there actually is a lot of literature on  
20 the effect, possible effects, of noise on cetaceans, but it  
21 is not a group of animals upon which we can easily  
22 experiment, so it's difficult to establish cause and effect.

23 Ms. JILL GRANT: Right. And in the  
24 blasting in Trinity Bay, there was feeding changes and  
25 avoidance behaviour, is that right?

1                   Mr. KENT SMEDBOL: I am familiar with  
2 some avoidance behaviour, but it's a long time since I've  
3 read that literature, so I can't give you a definitive  
4 answer yes or no. I do remember vaguely some behavioural  
5 changes, but I'd have to go back and look that up for you.

6                   Ms. JILL GRANT: Thank you. And there  
7 was some discussion in the presentation about changes to the  
8 conservation area, the shipping lanes, and so on. When were  
9 those changes made?

10                  Mr. MIKE MURPHY: The shipping lanes were  
11 instituted July 1<sup>st</sup>, 2003.

12                  Ms. JILL GRANT: Thank you. 2003. And  
13 am I right in understanding that two right whales were  
14 killed by collisions in the summer of 2006?

15                  Mr. KENT SMEDBOL: Actually, more than  
16 two. I think you're referring to possible deaths in  
17 Canadian waters. One was seen off shore, off the southern  
18 southwest Scotian Shelf, close to Brown's Bank. There's  
19 actually a second right whale conservation area in Rosalie  
20 Basin, in that vicinity.

21                  A second one, I don't remember the exact  
22 location, but I do not believe it was discovered in the Bay  
23 of Fundy. There have also been two right whale strikes this  
24 year in U.S. waters. Lethal. All four that I'm discussing  
25 are lethal.



1                   There was also a definitive strike in  
2 Canadian waters in 2005, which was, we actually did the  
3 necropsy in Campobello Island. Our U.S. colleagues actually  
4 undertook the necropsy. That was struck and killed by what  
5 was likely a small vessel, probably around 50 feet, based on  
6 the propeller size.

7                   So actually, when we talk about ship  
8 strike, some of us who are a bit close to this prefer to use  
9 the term "vessel strike", because it's not just large ships  
10 that kill right whales.

11                   THE CHAIRPERSON: When these whales are  
12 pronounced dead, is it generally the case where knowledge  
13 about the experience is available? You just conjectured  
14 that maybe it was a 50-foot, based on a propellor, but are  
15 most of these kills simply discovered after the fact and  
16 it's hard to connect the information together, so you don't  
17 know necessarily exactly where it was, or what the ship  
18 speed was, or any of that contributing information?

19                   Mr. KENT SMEDBOL: With the right whale,  
20 we actually rarely have that information. Most of the  
21 evidence generated for cause of death comes from the  
22 necropsy. There are a few cases, especially down in the  
23 southern U.S. where right whales are much more coastal than  
24 they are in our waters, that we have, you know, a vessel  
25 master will actually call in and say, you know, "We struck a

1 whale", and we have a time and a place.

2                   Right whales are actually, you know,  
3 they're very rare, so actual collision of right whales  
4 relative to the total number of large cetaceans is  
5 relatively small. For instance, in Dr. Taggart's  
6 presentation, they used, in their analysis, they used ship  
7 strikes, ship collisions, with all large whales in the  
8 vicinity in order to generate the figure.

9                   THE CHAIRPERSON: Isn't it true, too,  
10 that right whales are essentially oblivious to their  
11 surroundings, or at least oblivious to ships we hear, and  
12 they're either feeding or sleeping or doing something, but  
13 the ships just seem to, they don't frighten them away.

14                   Mr. KENT SMEDBOL: That's generally  
15 correct. Especially relative to other cetaceans, they tend  
16 not to show this type of escape response, or even often any  
17 response to vessels at the surface.

18                   There was a study undertaken in 2005, I  
19 believe, in the U.S., where they've been trying to develop  
20 alarm calls, actually using some of the whales' calls  
21 themselves to alert whales, and this has turned out to be,  
22 the irony of it such work actually elicits the worst  
23 possible behaviour from right whales. They come up, and they  
24 hide ten metres under the surface, which means they're  
25 basically undetectable.

1 Right whales also have a habit of what  
2 we call logging, so that they may sit just at the surface  
3 and do nothing. It probably relates to its resting  
4 behaviour.

5 The second type of behaviour that's  
6 quite common especially in Canadian waters, right whales are  
7 taken, a behaviour that's called, we call surface active  
8 groups, and it's quite intense socialization, actually, a  
9 lot of wrestling, a lot of splashing of water. You can have  
10 up to 50 animals involved in these. And when right whales  
11 are involved in a certain active group, they are utterly  
12 oblivious to what's going on around them.

13 It's unfortunate, but their behaviours  
14 make them very conducive to vessel strike, and they're a  
15 coastal whale. So time and space and their behaviour are  
16 all against them.

17 Ms. JILL GRANT: One of the elements in  
18 the presentation suggested that a six percent increase in  
19 traffic was not significant. What level of traffic increase  
20 would there have to be for it to be significant.

21 Mr. KENT SMEDBOL: That's a good  
22 question. My background, as a scientist, I tend to treat  
23 significance from a statistical sense. I don't think that's  
24 the way that it was meant.

25 Six percent, five percent chance of...

1 What was really being measured there is what is the  
2 probability of a whale and a ship occupying the same three-  
3 minute square in about the same time.

4 So what you're saying, you're increasing  
5 that probability, or with that increase in shipping if it's  
6 a linear... I can't remember, actually, from the research  
7 that was undertaken, I didn't not undertake that research.

8 If that relationship is linear, it's one  
9 to one. If not, it is quite a small increase. We've  
10 already Saint John has reduced the potential overlap,  
11 time/space overlap in the same squares by about 95 percent  
12 over the last three years, so I guess you would add six  
13 percent shipping to that, do your re-calculation.

14 You'd have to re-look at, you'd have to  
15 look again at the new shipping distribution, taking into  
16 account that six percent of ships. I would argue that it is  
17 likely not substantial. I think it would actually be quite  
18 a low increase in probability of ship strike, but not zero.

19 Ms. JILL GRANT: Thanks. And there were  
20 some comments raised about problems with the proposed  
21 observation strategy to identify whales in the area that the  
22 ship is traversing, so I would like to have some comment on  
23 the technical feasibility of this mitigation strategy.

24 Mr. KENT SMEDBOL: Yeah, I listened to  
25 your questions earlier today concerning... So if I deal

1 first with the single observer on the stand. If one looks  
2 at that relative to 2500 metres is your outer limit of  
3 interest, given... Well, first I'll say given excellent  
4 conditions, good sea state, the trained observer, that  
5 observer would be able to detect whales out to 2.5  
6 kilometres now, starting from that point.

7                   The first thing is, at that distance it  
8 would be extremely difficult to detect, to be able to  
9 speculate that animal. You might be able to say, yes, it's a  
10 large animal, it's a large whale. It'd be highly unlikely  
11 to be able to say that is it a right whale or is it a hump  
12 back whale.

13                   When we do this kind of sightings work  
14 from ships, I actually went back last night and looked at  
15 some of the data that we have on this, we have detected  
16 right whales as individuals out to over a kilometre.  
17 Usually we're using cues like the blow, which is a V-blow,  
18 which is diagnostic, but you can't have any breeze and you  
19 have to be right on the angle when you see that.

20                   Really, there are four factors or four  
21 different issues that come into play in detectability and  
22 sightability of animals at the surface. The first one, of  
23 course, the obvious one, is weather. So on a clear day,  
24 without glare, without haze, with a good sea state, say  
25 Beaufort two and lower, you might have a good chance.

1 I'm not saying you'll see every whale  
2 that's there, but you might detect whales if they're  
3 present. The detectability is definitely not zero at that  
4 range.

5 But as soon as you bring in glare, fog,  
6 precipitation, sea state, we don't even, for abundance  
7 estimation, if we use line transect sightings data, we  
8 usually throw out everything at Beaufort four and higher.  
9 We don't even use it because detectability goes down so low.

10 The second thing is the angle of  
11 incidents from the, of the observer to the whale. This  
12 actually, with the set-up that's described by the Proponent,  
13 is actually quite good for that. They're very high up,  
14 relative to the surface.

15 The third thing that people who do this  
16 work understand all too well, but if you don't do it, you  
17 probably never of it, and that's the idea of observer  
18 fatigue. You're basically staring at the water for a long  
19 time. When we do sightings, transect surveys, we usually  
20 employ a team, and those teams are rotated out to avoid...

21 This has been modelled many times on  
22 sighting surveys, that observer detectability drops, and  
23 it's a non-linear function. The longer an observer is  
24 looking at the water, the poorer they get at seeing  
25 anything.

1                   The fourth thing is actually the target  
2 species that's involved, so this brings in all the issues of  
3 size of the animal, so detecting a humpback versus a harbour  
4 porpoise. Harbour porpoise you will not see up to two and a  
5 half kilometres, and the animal is only a metre long.

6                   The behaviour of the animal, so what  
7 does it do at the surface, what are its markings or cues, is  
8 there something diagnostic about that species. For  
9 instance, the right whale, they don't have a dorsal fin.  
10 They have a V-blow, it's the only one to V-blow, and they  
11 also fluke up when they dive, so they tend to wave at you.

12                   Dive time is important, right whale  
13 dive, although not in that close to shore, but out in the  
14 basin, probably 20-minute dives. So there is an issue of  
15 availability to be sighted. So you have to factor that into  
16 the time that one would allow prior, you know... How long  
17 would one have to be watching before you were sure that  
18 there were no animals in the area.

19                   So there are all those, those four  
20 general categories that come into play in detectability.

21                   Ms. JILL GRANT: And you said that was in  
22 the best of conditions. So in this particular part of the  
23 Province, how often is that going to be the case, and what's  
24 the situation when the conditions are not so good, starting  
25 with that observation tower, and then we'll go to the boat.

1                   Mr. KENT SMEDBOL: Higher is probably  
2 always better, except maybe in fog conditions. To be  
3 honest, I wouldn't be able to give you a good estimate of  
4 amount of available days that are of use. High summer, when  
5 we do our work is, we do it because the weather is great and  
6 not just because the whales are there. The whales are also  
7 there through October, and once you hit September then you  
8 get wind shifts and stuff like that.

9                   Very difficult to determine. Some  
10 animals... I'll just leave it at that. I don't think I can  
11 give you a solid answer on that. But there's no doubt that  
12 as those conditions change, your detection range, effective  
13 detection range, is decreasing.

14                  Ms. JILL GRANT: And what about the  
15 proposal to go out with a work boat and try to observe in  
16 situations where the visibility is not adequate to observe  
17 from the observation tower or the distance is too far? How  
18 effective can we expect a work boat observer to be?

19                  Mr. KENT SMEDBOL: I think that would  
20 depend on the protocol, how they search the area. They will  
21 run, an observer on a small boat, we run small boat surveys,  
22 as well. If one's effective sighting range is reduced down  
23 to, say, 500 metres, then you would have to adjust your  
24 survey track to make sure that you're effectively occupying  
25 or at it can cover, at least, sight all the available area.



1 As, of course, in fog, well, I basically think you're out  
2 of luck.

3 So it then becomes an issue of coverage  
4 in time, but I don't think there's a straightforward answer  
5 to it. It's certainly better than not having the boat out.  
6 There is no doubt about that.

7 Ms. JILL GRANT: Is there a certain level  
8 of sea swell where it becomes impossible to see enough?

9 Mr. KENT SMEDBOL: We don't count whales  
10 after sea state four. You can...

11 THE CHAIRPERSON: Can you put that into  
12 miles per hour? Or knots would be fine?

13 Mr. KENT SMEDBOL: Beaufort four?  
14 Anyone?

15 Mr. BOB MORSCHEs: [No microphone]  
16 Doctor, sea state is wind plus the water, and it's how high  
17 the winds are...

18 THE CHAIRPERSON: Yes, but can you  
19 convert Beaufort four to knots?

20 Mr. KENT SMEDBOL: There's a fetch issue  
21 too, with that.

22 THE CHAIRPERSON: Yeah.

23 Mr. KENT SMEDBOL: So usually,  
24 effectively, for large whales, we would stop counting at a  
25 metre seas with breaking waves. You can still see them,

1    though, but your detectability drops.  But if you have the  
2    wherewithal to spend time at it, you will still detect  
3    whales.

4                    Ms. JILL GRANT:  And I notice that the  
5    Proponent, in their Proposal and in your presentation here  
6    today, too, it was suggested that the effectiveness of this  
7    observation strategy should be monitored.  How can you  
8    monitor and determine the effectiveness of this mitigation  
9    strategy, given that you won't know what you've missed.  
10   What do you...

11                   Mr. KENT SMEDBOL:  Yeah, and that's an  
12   excellent question.  That also confronts us whenever we do a  
13   survey for abundance estimation.  So what we do is we  
14   actually statistically model our detectability, and then  
15   once that function drops down below a pre-defined threshold,  
16   say, well, pick one, then we lop off all the distances that  
17   are greater than that, and we discount it.

18                    So what we do is, after the fact we come  
19   back into the lab, analyse our data, fit a curve, and the  
20   say:  "Oh, actually, we were only really good out of 500  
21   metres instead of a kilometre", and then that's what we're  
22   stuck with.

23                    In this situation, I tried to give it a  
24   little thought last night.  I'm not sure how...  I think it  
25   would require a bit of thought, and I can't give you an

1 answer right now, how one would address that. One  
2 possibility, off the top of my head, is you put markers out,  
3 but you just don't tell the observer where the markers are,  
4 and then see how they go.

5 But there may be, there may be stuff  
6 that's already done, but I'm not familiar with it, any such  
7 techniques.

8 Ms. JILL GRANT: If this monitoring  
9 identifies a whale as a ship's coming in, is it feasible to  
10 think that strategies can be taken with sufficient time to  
11 actually avoid a collision?

12 Mr. KENT SMEDBOL: I can't speak for the  
13 vessel. There's one thing to bear in mind with this.  
14 There's no guarantee that the whale is going to stay where  
15 it is. So the two things are moving in time/space. I'll  
16 let others perhaps address the vessel issue.

17 THE CHAIRPERSON: So I guess to  
18 summarize, that if you're dealing with winds of 30 knots,  
19 let's say, 30, 35, wind speeds in which it's probably okay  
20 for a ship to make its way into a pier, but probably not  
21 higher than that, and if the wind has been blowing for a day  
22 or two, so that you've had a fetch and you've got a sea  
23 that's running a metre or a metre and a half or so, and that  
24 individual's up in the tower, 110 feet above the water,  
25 looking out there, and of course it's blowing at the same

801  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PANEL)

1 time, and presumably the weather could be deteriorating.

2 The, what you're saying is it's almost  
3 impossible for somebody to see 2500 metres, two and a half  
4 kilometres. That's a mile and a half.

5 Mr. KENT SMEDBOL: I think effective  
6 detectability would be close to zero at that range.

7 THE CHAIRPERSON: Zero.

8 Mr. KENT SMEDBOL: Close to zero. I  
9 can't give you a definitive, out to the end of the range,  
10 especially if there's whitecaps. So one of the things, one  
11 of the things we really cue on is water disturbance or a  
12 whale jumping or a fluke-up or something like that.

13 So what happens with sea state, where  
14 you have waves, you're looking for that motion as well,  
15 right? And everything is motion. So it really drops.  
16 Especially at distance. It really is a function of cue  
17 sighting at distance.

18 But I can't give you a percentage. I  
19 would say it's definitely low, out that far.

20 THE CHAIRPERSON: Okay.

21 Mr. MIKE MURPHY: I think I should, just  
22 for a little bit of clarification, the 2500 metre zone, the  
23 observation during that period is for the blasting, not so  
24 much for the shipping.

25 THE CHAIRPERSON: Okay. Well, there are

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

1 two elements of concern, as you are well aware; incoming  
2 ships and the blast effect. Yes.

3 Mr. GUNTER MUECKE: Taking in a slightly  
4 different direction, regarding the blasting model that is  
5 going to be applied.

6 You said that what, in terms of the  
7 model, what matters is the charge, and you gave 45 kilograms  
8 as the model parameter, if I understood this right. And my  
9 question is, to what extent is the total blast size in terms  
10 of total amount of explosives relevant in the modelling.

11 Mr. NORMAN COCHRANE: Well, I think this  
12 is a very important question, and one that I don't think has  
13 been really fully resolved. The modelling study that was  
14 done by Hannay and Thompson, that is the JASCO and LGL  
15 report dated August 2003, largely dealt with the effect of a  
16 single shot hole that was loaded, as you say, with 45  
17 kilograms of ANFO.

18 And the modelling that they did was in  
19 terms of a single shot hole detonation, and there are, I  
20 think, mentions that probably the effect of multiple shot  
21 holes would not enhance the overall sound pressure levels  
22 due to the fact that the signatures, the pressure signatures  
23 of these individual blasts would not significantly overlap.

24 I, myself, am not fully convinced that  
25 that is necessarily the case, and especially at the 500-

1 metre range, where if we accept the CONWEP model that was  
2 put forth by the Proponent's representatives, the duration  
3 of the blast is quite long, in the order of ten  
4 milliseconds, and it would seem to me that certainly if you  
5 are detonating explosives with the 8-millisecond delay, that  
6 there would be some quite significant overlaps.

7                   Now I'm not sure if you want me to go  
8 into my assessment of the acoustic model, its virtues and  
9 shortcomings, so of which has been I think communicated to  
10 the Proponent's representatives.

11                   Mr. GUNTER MUECKE: Perhaps before I ask  
12 you that, you can talk to one of my concerns of risk here.  
13 As an earth scientist, I'm somewhat familiar with  
14 seismology, that's one of the things I've touched upon in my  
15 life.

16                   How would the model be effected do you  
17 think if there was, in the rocks themselves, if there were  
18 in the rocks themselves, good reflectors?

19                   Mr. NORMAN COCHRANE: Well, certainly  
20 there would be diffraction effects, and I think there are  
21 many good questions that could be asked.

22                   I think, and I believe I'm correct in  
23 stating this, that the model put forth is not intended to be  
24 a very precise description of actually what happens but  
25 rather is to give essentially an upper bound... It's a

1 crude model that would give an upper bound to the effects,  
2 that is the model has been parameterized very  
3 conservatively, and I would agree that that's probably the  
4 case.

5                   As you'll notice, the model is two  
6 dimensional, and it's being applied to a three-dimensional  
7 situation, an actual shoreline.

8                   It is a complex model in that it deals  
9 with an explosion in an elastic medium, where the effects  
10 are very close to the explosives, very difficult to model.

11                   But in addition to that, it deals with  
12 the propagation of sound into a sloping wedge of water,  
13 where the medium does support elastic waves, and that is a  
14 very complex problem in itself and one that you really have  
15 to search the literature to find it dealt with properly.

16                   Do you want me to go on and elaborate in  
17 some detail or are there some...

18                   Mr. GUNTER MUECKE: It would be useful,  
19 yes.

20                   Mr. NORMAN COCHRANE: Okay. The... I  
21 will tell you what we have done anyway in trying to assess  
22 this model.

23                   The Proponent uses a transmission model  
24 from the elastic medium for soundwaves propagating from the  
25 elastic medium into the water by Oriard, I have taken to try

1 to verify Oriard's computations.

2                   It is basically a model that predicts  
3 energy flux from one medium into the other in terms of P-  
4 waves in the water wedge.

5                   The only thing I could find immediately  
6 in the literature is a model by Perkowski that dealt with  
7 the same problem, and I was able to verify from Perkowski  
8 the magnitudes of the reflected P-wave from the water  
9 bedrock interface and the converted S-wave that is  
10 generated.

11                   However, Perkowski's results for the  
12 transmitted P-wave were in variance with Oriard's, and it  
13 appears that that is most likely a typographical error in  
14 the formula and that derivation of that particular result  
15 was not recorded in the literature, and it's a very  
16 complicated thing, so it was not easy to go back and verify,  
17 however at least the amplitudes of two of the waves were  
18 predicted properly by Perkowski's result.

19                   Perkowski's result, as stated, does not  
20 appear to support conservation of energy, is not consistent  
21 with where Oriard is, so I presume that there is a  
22 typographical error, and so we were able to satisfy  
23 ourselves that the Oriard Model is very likely correct, and  
24 we were able to set that model up on a computer so that we  
25 could actually compute the transmission coefficients from



1 the bedrock into the water as a function of angle  
2 incidence.

3                   Now as I said, the model that they used  
4 is a fairly conservative one. I believe for the  
5 transmission coefficient of 0.3 that is stated in the Hannay  
6 & Thompson report, they assume an incidence angle of about  
7 80 degrees, or the waves are coming in at about 10 degrees  
8 to the water bedrock interface, that is at a very shallow  
9 angle.

10                   It seems to me from looking at the  
11 shoreline, we're probably dealing with a slope on that  
12 interface of two, three, maybe 3.5 degrees.

13                   We did do some calculations, but what we  
14 did come up with, and I don't think it has been verified by  
15 the Proponent's representatives, but I believe that there  
16 was an error here and that the transmission coefficient is  
17 much smaller.

18                   Our calculations seem to show that  
19 that's about a factor 5 too large.

20                   THE CHAIRPERSON: Could I just briefly  
21 interrupt here? I find this very interesting and in many  
22 ways, it would be extremely useful for us, for me, if you  
23 could have that writing. Would that at all be possible?

24                   Mr. NORMAN COCHRANE: Yes. I'm not  
25 sure...

DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PANEL)

1 UNIDENTIFIED SPEAKER: We have submitted  
2 that as part of our comments.

3 Mr. GUNTER MUECKE: Pardon?

4 THE CHAIRPERSON: I couldn't hear you.

5 MR. NORMAN COCHRANE: We have submitted  
6 our critique as part of our overall comments on the review  
7 of the EIS.

8 Mr. GUNTER MUECKE: At the level of  
9 detail we have just heard?

10 MR. NORMAN COCHRANE: Yes, approximately  
11 that level of detail.

12 Mr. GUNTER MUECKE: Okay. Okay, I will  
13 go over that again. Going back to one of my original  
14 points, a single shot versus timed multiple shots.

15 Could you provide me with some  
16 indication on this, as you increase the size of the array,  
17 the size of the blast, what happens to the ability of the  
18 waves to become accumulative?

19 MR. NORMAN COCHRANE: The model, if you  
20 look at the transmitted wave form, you will find that a key  
21 point in the Proponent's model is that there is a  
22 cancellation of the pressure signature in the water column  
23 from the pressure wave reflected from the water surface, the  
24 water/air interface, which is a pressure release surface  
25 that leads to an inversion of the waveform when it is

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

1 reflected.

2                   The effect of the directly transmitted  
3 wave up through the water column and the reflective wave  
4 from the surface tends to effectively shorten the pulse  
5 length associated with the detonation, that is if we do  
6 accept the CONWEP model.

7                   Now I have not stated this, and this is  
8 not in writing, but I feel that there is an additional  
9 problem here.

10                   We're really using a RAY (ph) Model, and  
11 I believe that it's really what I would call an item RAY  
12 Model, where you have to trace out all the possible ray  
13 paths, and it seems to me that some important ray paths  
14 have not been included here that would lead to a much  
15 extended reverberation within the water column.

16                   For one thing, if the ray is transmitted  
17 into the wedge and the transmission coefficients are very  
18 small, then the reflection coefficients are very large, and  
19 that means that the ray, once it's into the water column,  
20 gets trapped there and reverberates.

21                   I don't think the model as presented  
22 takes into account these effects properly, so while I do  
23 agree with the Proponent that if the model as stated is  
24 valid, then the effective waveform is greatly shortened and  
25 the potential for overlap, even at 8-millisecond delays, the

1 effect is greatly lessened.

2                   But if the reverberation is extended  
3 within this water column, then the effect of overlap becomes  
4 I think much more significant, and it would have to be  
5 further investigated.

6                   The other thing is I'm not... The  
7 Proponent has not really given us a proper description of  
8 what the delays will be from the individual shots once they  
9 actually reach the water.

10                   It depends upon the geometry and the  
11 precise layout of the shot array. Actually, I would like to  
12 see a better description of what the impulses, the sequence  
13 would be really like in practice.

14                   The other thing to consider, if we go to  
15 longer ranges, and really long-range propagation has not  
16 been modelled.

17                   In fact, predictions within the water  
18 column are only out to I think 164 metres. We have looked  
19 at 500 metres, but only by us taking the model, the CONWEP  
20 model for the impulse in the bedrock at the 500-metre range  
21 and assuming the same angle of incidence and the  
22 transmission coefficient of 0.3, and that's the way we were  
23 able to come up with the 186 dB or so.

24                   Mr. GUNTER MUECKE: Yeah, I think that  
25 has...

810  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PANEL)

1                   Mr. NORMAN COCHRANE: But longer ranges,  
2 I don't think this model is necessarily valid. There are a  
3 lot of other things that occur that...

4                   Certainly at longer ranges, there are  
5 interface waves and things like that. They become very  
6 important to the propagation of the energy along the water  
7 bedrock interface.

8                   Mr. GUNTER MUECKE: I think I have a  
9 better understanding now of what is happening here and what  
10 the limitations of the model are, and I'm looking forward to  
11 seeing it a written submission. I really would look forward  
12 to that.

13                   I think it's probably at this point an  
14 appropriate time to break?

15                   THE CHAIRPERSON: Yes. I would like to  
16 take a 15-minute break and then we will come back and resume  
17 this discussion.

18 --- Recess at 2:46 p.m.

19 --- Upon resuming at 3:01 p.m.

20                   THE CHAIRPERSON: Ladies and gentlemen,  
21 let's begin.

22                   It's come to my understanding that you  
23 do have some information on the Orca program?

24                   Mr. MIKE MURPHY: Yeah, we have a couple  
25 of pages that may help you out, and we'll provide this at

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

1 the end of the process. And if there's any more, then feel  
2 free to get a hold of us and we can try and get the  
3 information from the Pacific Region.

4 I also - I'd like to ask David Millar to  
5 just add a couple more comments about the SARA permitting  
6 process that he'd like to add to his answer of earlier.

7 THE CHAIRPERSON: Please.

8 Mr. DAVID MILLAR: So I just wanted to  
9 clarify on SARA permitting that we don't just give permits  
10 to anyone. There are conditions that have to be met to get  
11 those permits, and this is definitely germane to this  
12 particular project.

13 There's basically three conditions for  
14 issuing an Incidental Harm permit, which would be that they  
15 must have considered all reasonable alternatives to the  
16 activity and selected the best solution. They must put all  
17 feasible mitigation measures in place.

18 And the third one is that we must be  
19 confident that the activity will not jeopardize the survival  
20 or recovery of the species at risk.

21 We determine that, in part, through  
22 something that we call an Allowable Harm Assessment, which  
23 is a scientific review process done through peer review that  
24 looks at the productivity of the species and the amount of  
25 human-induced mortality and harm that it can tolerate.

1                   For both inner Bay of Fundy salmon and  
2 for right whale, that process has been done. And in both  
3 cases, it's determined that there's no allowable mortality  
4 for either of those species.

5                   So that's obviously an important  
6 consideration, and it means that there would be very limited  
7 circumstances in which we would issue permits for these two  
8 species, so that should be taken into account.

9                   THE CHAIRPERSON: Thank you.

10                  I would like to raise an entirely  
11 different subject with you, and that has to do with residues  
12 from blasting.

13                  Yesterday, I think, or maybe it was the  
14 day before, we had a discussion in which we were talking  
15 about the explosives that will be used at the site, which is  
16 ANFO, Ammonium Nitrate Fuel Oil.

17                  And we were talking about the fact that  
18 it's a well-known fact that when this explosive is used that  
19 there's a residue of ammonia left behind.

20                  We were using the number of two percent,  
21 which may be incorrect, but we're in the process of trying  
22 to refine that number. But for the sake of this discussion,  
23 we will assume it is two percent until we hear otherwise.

24                  The question I have for you is that if  
25 blasting is done in this site once every two weeks and we

1 established this morning that the amount of explosive that  
2 will be used is 20 tonnes. 20 tonnes every two weeks.

3 Two percent of that is residue in the  
4 form of ammonia which, as I said, may be too high, but that  
5 would work out to 400 kilograms released every two weeks.  
6 So it would be on the site.

7 And obviously some of it would be  
8 buried, some of it would be on rocks, some of it... I don't  
9 know. But there's a large amount. 400 kilograms is almost  
10 half a tonne.

11 So every two weeks, this material would  
12 weather and, presumably, the way the plan is in the EIS, is  
13 that it would converge or be drawn to sediment ponds, where  
14 it would be trapped.

15 Now, the sediment ponds would retain  
16 water and the water would be used to... Be recycled within  
17 the project, but at some point those ponds would be too full  
18 and there would have to be a controlled release, so this  
19 material, which every two weeks is accumulating and building  
20 into the system.

21 Now, I'm well aware that ammonia breaks  
22 down and changes to other things, but also, there would be a  
23 strong nitrogenous component to this material.

24 Now, as it builds up, assuming that  
25 ammonia washes out, one part of it is that it's toxic. The



1 other part is that it's an important nutrient.

2                                   And if there was... And we have heard  
3 earlier in our presentations, presentations of others, that  
4 if there was an anticipated storm or a big event was coming  
5 and there was some fear that the ponds couldn't hold the  
6 amount of water that was anticipated to be coming, there  
7 would be a sudden flash release of it to bring the levels  
8 down. Otherwise, the water would overflow or the berms  
9 might break. Okay?

10                                   So it's possible that not only could  
11 there be controlled releases of this material, but there  
12 could be sudden episodic events of 10,000, 20,000 litres.

13                                   Now, the impact on this... This is  
14 hypothetical, of course, because we don't know the exact  
15 number of the percentage, but the question then becomes,  
16 from a habitat standpoint, from an organism standpoint, the  
17 sudden release or even the controlled release of large  
18 amounts of toxic material or even if it breaks down and  
19 converts to nitrate or nitrite, it's still going to be  
20 nitrogenous and it's still going to end up in the  
21 environment.

22                                   I'd like to hear what you have to say  
23 about that.

24                                   Mr. TED POTTER: I'll speak to this on a  
25 couple of fronts.

1                                   The pollution prevention provisions of  
2 the **F**                   **A** are administered by Environment Canada  
3 and, in this case, the residue here would be considered as a  
4 deleterious substance, and we'd be looking for Environment  
5 Canada to speak to this.

6                                   In the scenario that you've outlined,  
7 this is something that's really become, to our knowledge, as  
8 an issue over the last few days as... You know, and the  
9 amount, as you said, could be a hypothesis as to the correct  
10 amount.

11                                  So it's not something that we have spent  
12 a great deal of time or effort looking at.

13                                  That being said, you know, this stuff  
14 goes into a sediment pond. That needs to be treated in an  
15 appropriate way.

16                                  And your question also alluded to upset  
17 or storm events which would see washouts and that. These  
18 are things that would need to be considered and contained in  
19 environmental protection plan for the site.

20                                  So there's not something there where  
21 we've gone through or reviewed anything in the EIS that  
22 would speak to that at that level as you've described.

23                                  We would be very concerned if there was  
24 eutrophication in the area on the nitrogen side.

25                                  THE CHAIRPERSON: Is there anything to be

1 gained by asking you to take an undertaking to reflect on  
2 this, and is this... Are your comments all that we can  
3 expect from you, or is there anything additional to that  
4 that we might find useful in considering this?

5 We consider this to be an important  
6 issue, and we would be interested in having a more  
7 reflective view of it.

8 Mr. TED POTTER: Where I would see going  
9 with this is that we'd work in collaboration with  
10 Environment Canada to provide an appropriate response.

11 THE CHAIRPERSON: All right. The  
12 hearings break up on the 30th. We would like to know when  
13 that might be possible.

14 Mr. TED POTTER: Prior to the 30th, but  
15 as soon as possible.

16 THE CHAIRPERSON: 29<sup>th</sup>?

17 Mr. TED POTTER: At the latest.

18 THE CHAIRPERSON: At the latest. Okay.  
19 We'll put it down as the 29<sup>th</sup>.

20 Mr. TED POTTER: And if it's earlier, you  
21 won't mind.

22 THE CHAIRPERSON: No. Correct.

23 I'd like to take you somewhere else as  
24 well, and that is, is that we've also discussed the role of  
25 science in this initiative. And we recognize that samples

1 are collected and observations are made for multiple  
2 reasons.

3                   One of those reasons, of course, is to  
4 satisfy regulatory requirements, but there are also other  
5 requirements or needs that are filled by science.

6                   And one of the things that has concerned  
7 the Panel is the fact that observations have been made on  
8 sediments, benthos. Photographs have been taken. Plankton  
9 samples have been made. Inter-tidal observations have been  
10 collected, that sort of thing.

11                   But most of these are rather modest in  
12 number, maybe a dozen samples, let's say, and usually taken  
13 within a day or two or three, on the outside, maybe four  
14 times. So what we have is maybe anywhere from half a dozen  
15 to a dozen samples collected over a period of several days,  
16 which really works out to a point in a temporal point.

17                   And in some sense, you might consider  
18 these to be opportunistic rather than systematic.

19                   And as I said, collections of this sort  
20 can be extremely useful, and I'm not questioning the  
21 collection process itself or the quality of the individuals  
22 who did it. That's not in question.

23                   But the collections can be used for  
24 identifying VECs, for example, or they can assess the  
25 presence or absence of things, or they can create a

1 snapshot.

2                   But if you wanted to use that  
3 information to look at ecosystem-based management, for  
4 example, a broader overview, or you wanted to do long-term  
5 monitoring, for example, or, as has been suggested in the  
6 Proponent's document, the EIS, adaptive management, all of  
7 those things require very secure view of the starting point.

8                   They require a baseline that is  
9 substantial because everything is related back to that  
10 baseline. You start from something and you proceed onward.

11                   I'm wondering how DFO would view this in  
12 the... I'm asking now about the role of science in all this  
13 because ecosystem-based management is an important component  
14 of the EIS. Long-term monitoring has been suggested in many  
15 different places, and adaptive management is referred to in  
16 the EIS 140 times.

17                   In other words, there are many places  
18 where things have been referred to adaptive management.  
19 This is what we'll do, and if we run into difficulties, this  
20 is how we'll do it.

21                   So I'd be interested in DFO's comments.

22                   Oh, and there's one other example which  
23 I might offer to you, and that is, it's been suggested that  
24 the conservation square that is used to contain... That  
25 contains the right whales that a small boat would monitor

1 the explosives, the shock waves from the explosives, at the  
2 corner of that square.

3 And it's considered to be long-term  
4 monitoring as a way of gauging the impact from the  
5 explosives on the right whales.

6 And maybe you could comment on the value  
7 of that.

8 Mr. TED POTTER: There'd probably be two  
9 or three of us who would respond to this question given its  
10 breadth.

11 With regard to your introductory part  
12 about the number or quantities of samples taken, they are  
13 low. They are very low.

14 It provides some background information.  
15 It gives an indication of what's present, so it can be used  
16 as a presence-absence for what's been found, but it does not  
17 provide a detailed baseline overview that could be used for  
18 future environmental effects monitoring.

19 In particular with respect to other,  
20 large-scale projects we've been involved in, this is  
21 probably one of the weakest parts of the science links going  
22 forward, is not having adequate or sufficient quantitative  
23 versus qualitative baseline measurements.

24 Over the course of an environmental  
25 effects monitoring program, our observations for other

1 proponents has been more along the lines of hypothesis drift  
2 as opposed to substantiating hypothesis.

3                   The questions from a scientific  
4 perspective, these were the predictions that were made in  
5 the Environmental Impact Statement. Here are our  
6 conclusions as to what would be the results, and we have  
7 either met or not met them.

8                   And therefore, the value of the  
9 information derived is limited, at best. And so that would  
10 be a key cornerstone that an effective environmental  
11 monitoring program would be established, the cornerstone of  
12 which would be sufficient in number and in quality of  
13 baseline samples so that... As a general overview.

14                   And this is across many major projects.

15                   THE CHAIRPERSON: I could ask Dr. Smedbol  
16 about the corner monitoring of sound, particularly in result  
17 of the blasting. Will it be useful? Will it be effective?

18                   Dr. KENT SMEDBOL: Yeah, I haven't given  
19 that a lot of thought.

20                   One thing that comes to mind immediately  
21 is I would see the primary use of such a passive receiver  
22 would be simply to monitor the... And determine the level  
23 of received sound from the blast and to ensure that that  
24 level of received sound is below some threshold that has  
25 been determined by management of the project.

1                   It's interesting to note that, unrelated  
2 to the project, that one of the core objectives of the draft  
3 recovery strategy I have in front of me is actually passive  
4 acoustic monitoring of the population.

5                   So there might be some piggybacking on  
6 that value above and beyond its worth to this particular  
7 proposal. Beyond that idea of ensuring that received sound  
8 stays below a threshold, given... For instance, if it was  
9 only one receiver, you can't triangulate on, so that same  
10 receiver could also be set up with hydrophones to receive  
11 whale calls, for instance.

12                   If you had an array, you could then  
13 triangulate on calls and determine where the whales are  
14 relative to the sound source, so there may be additional  
15 value in that.

16                   I think the receiver would have to be  
17 set up in a way that it can be interrogated almost real  
18 time.

19                   There are examples of this in use, for  
20 instance, in Cape Cod Bay. There is a passive acoustic  
21 array set up in there to track right whales in relation to  
22 traffic and they're communicated with through cell phone  
23 technology.

24                   Beyond those two ideas, determining  
25 received sound level and detection of right whales, off the



1 top of my head, I can't think of any other strong uses for  
2 it. Give me a few days, I might come up with some other  
3 hypothesis to test.

4 But I think the important one is  
5 ensuring compliance monitoring.

6 Mr. MIKE MURPHY: There's some additional  
7 comments from Tana.

8 THE CHAIRPERSON: Please.

9 Ms. TANA WORCESTER: My additional  
10 comments were just on the first part of the question, not so  
11 much on the right whale monitoring.

12 In terms of long-term monitoring of  
13 environmental effects, I guess some other experience from  
14 some other projects would be the establishment of sites that  
15 you could go back to and look at sort of over time.

16 So in order to look at a time series of  
17 change over time in response to an environmental effect, you  
18 might want to establish those up front of what the locations  
19 were that you were going to investigate.

20 And certainly, I mean, specifically in  
21 relation to the existing baseline monitoring data in terms  
22 of the inter-tidal habitat, for example, there might be  
23 additional sites that you would want to investigate,  
24 including what was mentioned this morning about the  
25 Laminaria beds or the kelp beds, which I believe were not

1 surveyed in the information that's been presented to date.

2 So that would be another component to  
3 consider.

4 THE CHAIRPERSON: Thank you. Thank you  
5 to all of you.

6 Mr. GUNTER MUECKE: Since we have been  
7 talking about monitoring, maybe I can continue along those  
8 lines.

9 Bilcon also proposes to monitor for  
10 invasive species, and now I need feedback because my memory  
11 has just gone from Bilcon.

12 Could you quickly outline to us again  
13 the monitoring program for invasive species that you're  
14 proposing?

15 Mr. PAUL BUXTON: I think I... Rather  
16 than get into specifics, I think I should return to a point  
17 here, and I was going to make it in my remarks, but that we  
18 have proposed monitoring protocols, but there has been  
19 general agreement at all meetings with DFO that the issue of  
20 long-term monitoring would be discussed with DFO, with the  
21 appropriate people within DFO.

22 So whether it's... And I noted the  
23 comment that we would be doing monitoring at the corner of  
24 the North Atlantic right whale conservation area in a boat.

25 Well, I don't think we've ever discussed

1 a boat, and we would certainly not propose a boat. It would  
2 be either a surface buoy or a bottom-anchored buoy, whatever  
3 our experts proposed, and the protocols of the information  
4 would be determined in consultation with DFO.

5 I think what we have said is that we  
6 have got some background information on invasive species.  
7 We have taken samples at the site, that we will take samples  
8 in the future at certain points in time for two reasons.

9 One is we want to know what's happening  
10 at the site because if something does come in, we want to be  
11 able to issue a warning that it's come in.

12 I'm not so sure that there are rules and  
13 regulations in place which would specify what we should do  
14 in terms of monitoring because the compliance monitoring  
15 basically rests with Transport Canada.

16 And I think I made this point the other  
17 day that what we would like to do is to contribute to some  
18 knowledge here so that we would propose to do some long-term  
19 monitoring of invasive species off the site.

20 We would like to do that in consultation  
21 with DFO so that we can determine (a) if something is coming  
22 in, but also to provide some background and some research  
23 data on the site.

24 So I don't think I'd be prepared right  
25 now to say this is what we intend to do, although we have

1 suggested various things that we would propose to do. Those  
2 things, in my view, would be determined in discussions with  
3 DFO.

4 Mr. GUNTER MUECKE: Okay. Could I turn  
5 it back to DFO, then?

6 What would you envision would be an  
7 effective monitoring program for invasive species?

8 Mr. TED POTTER: Our first step would be  
9 before that. It's prevention, as Mr. Murphy outlined in his  
10 presentation that one incident can lead to colonization  
11 either at a local or regional level.

12 So prevention is the measure here as  
13 opposed to sighting it once it arrives. Invasives have  
14 proven very difficult to the point of almost impossible to  
15 eradicate on establishment.

16 So the first part would be direct...  
17 The main mitigation would be directed at the ballast  
18 transfer as through the Transport... Or Transport Canada  
19 regs through the ballast.

20 Within the broader context in a Nova  
21 Scotia setting, there are 45 monitoring sites in Nova Scotia  
22 along the coast, through the Bras d'Or Lakes, as well as 11  
23 additional sites on the New Brunswick side of the Bay of  
24 Fundy.

25 DFO's aquatic invasive species group is

1 looking at five species, primarily tunakits. Of those, we  
2 have already discovered... Our closest monitoring site is  
3 at the Digby Yacht Club, and we have found gold star and a  
4 few vase tunakits at that site.

5 We have also found... Our next site  
6 going down around the Neck and around the Islands is near  
7 Meteghan in St. Mary's Bay, and again, vase and gold star  
8 tunakits are present there.

9 We are concerned that other species  
10 would come in. In particular, we're concerned about  
11 potential diseases that would affect lobster and, in  
12 particular, the disease that affected the Long Island  
13 lobster in 1999.

14 There are green crab, which was  
15 mentioned in our presentation, which have already  
16 established themselves and have moved north along the coast  
17 through the Bras d'Or Lakes and into the Gulf of St.  
18 Lawrence.

19 And we are concerned about Chinese  
20 mitten crab as well entering the area.

21 Monitoring. We have monitoring  
22 protocols set up, and I believe it's... I'll just refer to  
23 the document here. We can provide a copy of that to the  
24 Panel, but it's ranked as invasive species Level 2  
25 monitoring.

1                   And there's a whole series of detail  
2 here as to site selection, protocols, equipment to be used  
3 that we can provide.

4                   Really, monitoring confirms that you've  
5 got a problem and there's very little you can do about it.  
6 Prevention is the answer in this case.

7                   Mr. GUNTER MUECKE: Thank you.

8                   Ms. JILL GRANT: Just a couple of other  
9 questions on the invasive species question.

10                  Do you have any special concerns around  
11 the area where the ship is going, the other end?

12                  Some concerns have been flagged in a  
13 study done for the Proponent by Mallet about the high risk  
14 of some of the species in that area, so I just wonder  
15 whether that creates a special concern or not.

16                  Mr. TED POTTER: In general, it's the  
17 ballast water that is the source of invasive species,  
18 although it's not the only source. There could be  
19 attachment to the hulls.

20                  Our environment assessment focuses on  
21 invasive species coming to our area, not going to a home  
22 port, international destination. Our jurisdiction doesn't  
23 carry us that far.

24                  Ms. JILL GRANT: What's your experience  
25 of the effectiveness of ballast water transfer for removing

1 the risks of these kinds of organisms?

2 Mr. TED POTTER: That would be beyond my  
3 capacity to answer.

4 The program has been put in place over  
5 the last two years. The monitoring started last year.

6 And for effectiveness, what we've seen  
7 is about five species per decade since European arrival in  
8 the Americas. And with increase in shipping and vessels  
9 going all over the world, I'd be at a loss to see that  
10 actually declining.

11 We are trying to take preventative  
12 measures here. I think that, in the long run, this will  
13 delay as opposed to prevent.

14 Ms. JILL GRANT: One of the species that  
15 you mentioned is the parasitic lobster disease.

16 What's the value of the lobster fishery  
17 in the Bay of Fundy, and what's the nature of the parasitic  
18 disease that might affect them?

19 Mr. TED POTTER: What I'll do is I'll ask  
20 two experts here we have with us. I'll ask the Area  
21 Director for Southwest Nova Scotia to speak to the value of  
22 the lobster fishery, and then I'll ask Dr. John Tremblay to  
23 speak to the effect with regard to lobster.

24 Dr. JOHN TREMBLAY: The way the  
25 information on landings is acquired b DFO is through logs

1 from fishermen. It's not sliced up quite as easily.

2 I don't have that in front of me for the  
3 entire Bay of Fundy, but on the Digby side, looking at, say,  
4 the upper Bay of Fundy on the Nova Scotia side, you'd be  
5 looking at the order of 10 million, 10 million dollars.

6 Are you looking at... Looking for  
7 figures on value or landings?

8 Ms. JILL GRANT: I'm not sure what the  
9 difference is between those two, but we... Yeah. We want  
10 to get a sense of what the annual value of the lobster  
11 fishery is.

12 Dr. JOHN TREMBLAY: Yeah. It's  
13 substantial.

14 With respect to the disease, it hasn't  
15 been found north of... It hasn't been found in Maine, I  
16 don't believe, so there are, you know, other waters where  
17 these vessels are going through and the disease has not been  
18 found there yet.

19 So I expect the chances of it getting  
20 here are reduced, but they're not zero.

21 Ms. JILL GRANT: And does that disease  
22 completely eliminate the lobster catch? Does it reduce  
23 catch?

24 What is, exactly, the effect of it?

25 Dr. JOHN TREMBLAY: In Long Island Sound,



1 which is quite a localized area when you look at the  
2 distribution of lobsters as a whole, catches declined  
3 remarkably over a period of several years.

4 But I understand it wasn't just disease.

5 It was a combination of low temperature, particular  
6 environmental conditions, low oxygen as well.

7 So I'd be very surprised if it would  
8 eliminate any population of lobsters on its own, but it  
9 would certainly have a serious impact.

10 Mr. MIKE MURPHY: If I could just add in  
11 terms of the value of the lobster fishery, I wouldn't want  
12 you to leave with the impression that the industry is 10  
13 million dollars.

14 It depends on where you decide to...  
15 From what line to what line. You know, I think if it was  
16 helpful we could provide you with some information by  
17 statistical district or by different areas along the coast  
18 and you would have a sense of 10 million dollars in this  
19 particular area, but if you expanded those boundaries out,  
20 you may be talking of 300 million dollars in Sou'west Nova  
21 Scotia.

22 I mean, it just depends on where you  
23 want those boundaries to be.

24 Ms. JILL GRANT: Thank you. That would  
25 be very helpful, so we'll register that as an undertaking.

831  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PANEL)

1                   If you could get it to us by the 29th at  
2 the latest, that would be great.

3                   Mr. MIKE MURPHY: That one I think we can  
4 get by the 29th.

5                   Mr. GUNTER MUECKE: While we're on the  
6 lobster fishery, I'm, in my mind, trying to configure how  
7 the impact of this project on a lobster catch can be  
8 evaluated.

9                   And is it possible or has it been done  
10 in terms of the possible local effects to evaluate? You  
11 have to have a baseline to evaluate change, have the lobster  
12 catches been affected.

13                   This will be, obviously, within a  
14 certain specified, limited local radius, and to evaluate it  
15 you have to have a lobster catch analysis prior to the  
16 enterprise.

17                   Has this been undertaken or should it be  
18 undertaken?

19                   Dr. JOHN TREMBLAY: It hasn't been  
20 undertaken. There are landings available on a 10-minute  
21 grid basis.

22                   That's the finest resolution we have, so  
23 quite a large area, but we do have landings on that basis  
24 going back 10 years, so we could look at the grid that is  
25 closest to the proposed quarry and look at changes over

1 time.

2                                   Obviously that's not the best way  
3 because we like to have higher resolution information, so  
4 this is why DFO proposed a monitoring program.

5                                   We haven't discussed this any further.  
6 We certainly would want some industry input in the design of  
7 any such program, but it could involve sampling before and  
8 in between actual blasts, for example, to see if something  
9 like catch rate declines dramatically after a blast.

10                                  And it could also involve looking at  
11 hemolymph protein to see if it's affecting moult cycles and  
12 so forth.

13                                  But basically, there is not a lot known  
14 about the effect of blasting on lobsters and other decapod  
15 crustaceans, other crabs and so forth.

16                                  It certainly doesn't seem to induce  
17 mortality. Some studies in the lab exposing animals to  
18 quite high levels of seismic have not shown any mortality,  
19 but there are some sub-lethal effects that have been shown  
20 recently.

21                                  Most of that information is preliminary  
22 or in review, is where that is. It hasn't really been peer  
23 reviewed.

24                                  Ms. JILL GRANT: Just a follow-up. We  
25 asked Transport Canada earlier today, and maybe it's

833  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PANEL)

1 appropriate to ask you as well.

2                   Given the nature of the kind of  
3 turbulence that the ship's likely to generate coming in and  
4 the unpredictability of when it's going to be able to get in  
5 due to conditions, how feasible do you see it being for  
6 lobster fishermen to continue to work in this area once...  
7 If the project does go ahead?

8                   Mr. JOHN TREMBLAY: I guess we really  
9 don't have the information on the table as to what the  
10 turbulence would be, to answer that question.

11                   I mean, there is fishing going on in  
12 other areas where large ships come in, but, you know, we  
13 don't have the comparative data to make the conclusive  
14 statement.

15                   THE CHAIRPERSON: That information  
16 wouldn't be generally available, say, 70,000 dead weight  
17 tonne ship reversing its propellers, for example, as it  
18 positions itself. The amount of energy released into the  
19 water would be huge.

20                   And that turbulence, I mean, tipping  
21 over lobster pots, perhaps, or... I don't want to put words  
22 into your mouth. I don't even know the answer to this.

23                   And lobster pots are joined together so  
24 that tying them up in knots and that sort of thing, is that  
25 just fanciful or is there any possibility there?

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

1                   No one knows.

2                   Mr. TED POTTER: I think the answer is  
3 nobody's really looked at this closely.

4                   With regard to what's proposed here, if  
5 we were to look across the Bay at the Canaport facility with  
6 huge oil tankers coming in, there's an exclusion zone there  
7 for safety while the vessel's coming in.

8                   And having talked to some of the  
9 operators, while the vessels are not there, strings of  
10 lobster pots are laid through the area and recovered or  
11 retrieved prior to a ship coming in.

12                  That does not negate that traps get  
13 entangled or washed out.

14                  What DFO would do, because this is not  
15 part of our authorization process, is we would strongly  
16 encourage the Proponent and industries, in particular in  
17 this case with the fishing industry, to have discussions on  
18 how they would interact and what the arrangements would be  
19 there and come to an agreement.

20                  THE CHAIRPERSON: Thank you. That's very  
21 helpful.

22                  Mr. GUNTER MUECKE: We understand that  
23 there is quite an important herring fishery in this part of  
24 the coast, and having a facility, the loading facility which  
25 is lit up and with lights directed downward in order to

1 avoid boat collisions and interference with migratory birds,  
2 could you give me a sense of how you feel about possible  
3 interference of the facility with the herring fishery?

4 Mr. KENT SMEDBOL: Light is a known  
5 attracter for herring. In fact, it used to be commonly used  
6 in the herring fishery, the seiner fishery, as a way to  
7 attract fish to the surface. That's no longer done.

8 So I could foresee, hypothetically  
9 speaking, that it may actually function in drawing herring  
10 into the area.

11 It should be noted that there is... The  
12 area along Digby Neck, in the summer months, it does sustain  
13 a very heavily prosecuted fishery for herring. Mainly  
14 seiners come in quite shallow in that area.

15 There are also still several weirs that  
16 function along Digby Neck, so it's a known area for herring  
17 aggregations during the spring, summer, fall months.

18 Other than it... So it is possible that  
19 lights at night could attract them, but they're there in the  
20 area to begin with.

21 Mr. GUNTER MUECKE: Would it in any way  
22 interfere with their spawning or their usual movement  
23 patterns?

24 Mr. KENT SMEDBOL: Spawning areas for  
25 herring in Scotia Fundy are well documented, and there isn't

1 one in that particular area.

2                   Spawning tends to occur in the summer  
3 months, usually July, August for this species. The main  
4 areas in and around Fundy would be there's a large spawning  
5 area in Scotts Bay at the head of the Bay.

6                   There's also a very large one on German  
7 Bank, which is the largest component of Scotia Fundy  
8 herring, where that spawns. There are a few smaller ones  
9 down past St. Mary's Bay.

10                   To my knowledge, there is not a  
11 substantial component that spawns in that area.

12                   Mr. GUNTER MUECKE: What about movement  
13 patterns?

14                   Mr. KENT SMEDBOL: They actually move  
15 back and forth quite close to the coast in that area. It's  
16 one of the reasons why we... You know, it's an historical  
17 area for fishing weirs.

18                   It's also one of the reasons why we find  
19 large fish-eating whales in the area. They're targeting  
20 herring in that area so, for instance, herring are the  
21 reason why we have whale watchers on Digby Neck.

22                   THE CHAIRPERSON: Okay. I believe that  
23 the Panel is finished its questioning, so now we'll turn it  
24 over to the Proponent, Mr. Buxton.

25                   Mr. PAUL BUXTON: Thank you, Mr. Chair.

1 Some of these will be clarifications, some may be a comment,  
2 and some may be direct questions, if you'll let me.

3 To your last question with respect to  
4 turbulence, it may be that there is significant information  
5 available at Porcupine Mountain Aulds Cove. Certainly about  
6 60 ships a year come into that facility to pick up aggregate  
7 and, also, there was a coal loading facility there taking  
8 coal up to Point Aconi.

9 And I'm led to believe that the area  
10 directly in front of the port is, in fact, heavily fished  
11 for lobster, so it may be that there is some background  
12 information that the local lobster fishermen could provide  
13 data on.

14 I don't have it, but it may be  
15 available.

16 A clarification with respect to the in  
17 shore Bay of Fundy salmon.

18 I did say May through September, and Mr.  
19 Murphy said May to October. It may be my wretched accent,  
20 but I did say May through September, and I'd like to ask you  
21 if that's correct.

22 Mr. MIKE MURPHY: Our information is to  
23 October, through October, that would... There would still  
24 be inner Bay of Fundy salmon in the area in October. So to  
25 or through.



1                   Mr. PAUL BUXTON: Okay. Thank you. I  
2 think our original information was that it was May through  
3 September, and so that's what we put in the document.

4                   If it's October the 15th, we have no  
5 difficulty with that. We just don't have that information,  
6 I guess.

7                   On to fish habitat compensation plan,  
8 which was mentioned in your presentation. And I would just  
9 simply like to comment on that, perhaps, that I think we  
10 spent a dozen, perhaps not a dozen, 10 meetings with DFO  
11 officials outlining this compensation plan to the extent  
12 that we felt at our last meeting that everybody was  
13 comfortable with it.

14                   I understand since from DFO that there's  
15 been new research, new documentation and they would like us  
16 to revisit that in the light of new information which has  
17 come to hand, and we're very comfortable with that. If  
18 there are new technologies, we'd be very pleased to meet  
19 with DFO again and revise that plan in accordance with  
20 better science, if you like.

21                   I have a comment on CEAA and a question  
22 on CEAA. Perhaps as an impression that only new projects  
23 that pass through comprehensive studies or panels are  
24 subject to CEAA, and I would like the DFO expert... I am  
25 sorry about names. Didn't get them all in my head. To just

1 comment on whether or not CEAA, in fact, applies to all  
2 existing projects as well as new projects which are coming  
3 in.

4                   Mr. DAVID MILLAR: There's different  
5 components of CEAA that apply differently. Section 79,  
6 which is the project review component, applies to new  
7 projects. It's specifically intended to apply to these kind  
8 of situations, projects that are undergoing an environmental  
9 assessment under CEAA.

10                   And so that's intended to make sure that  
11 CEAA review identifies adverse effects on species at risk  
12 and proposes appropriate mitigation monitoring.

13                   So that part of the Act would apply only  
14 to new projects. On the other hand, the prohibitions which  
15 say you can't harm, harass, kill applies to all activities  
16 unless they have a permit or some sort of exemption, so that  
17 does apply to all activities regardless of whether it's a  
18 new project or an ongoing activity or any other kind of  
19 activity, regardless of whether it requires a review or an  
20 EA or anything.

21                   Does that clarify?

22                   Mr. PAUL BUXTON: Thank you very much,  
23 Mr. Chair.

24                   I would just like to make a comment on  
25 ammonia, since it came up yesterday, and, in fact, we have

1 an undertaking to provide you with some background data.

2 And also, we are preparing an additional  
3 piece on that to clarify our position.

4 But I would like to refer to a meeting  
5 which was held February 7, 2005 with DFO and Bilcon, and it  
6 covered a number of subjects, as our many meetings with DFO  
7 did.

8 But at that meeting, DFO... And these  
9 are the minutes. I'm reading from the minutes of the  
10 meeting now, which were prepared by DFO.

11 "DFO provided the Proponent with a paper  
12 entitled 'Practical Methods to Reduce  
13 Ammonia and Nitrate Levels in Mine  
14 Water' by Gordon F. Reevey on mitigation  
15 measures for the use of ANFO, ammonium  
16 nitrate fuel oil-based explosives.  
17 DFO's explosives expert has said that if  
18 the mitigation that has been proposed by  
19 the Proponent and the recommendation  
20 outlined in the paper by Gordon Reevey  
21 were incorporated into the blasting  
22 plan, there will be little in the way of  
23 residual impacts occurring from this  
24 aspect of the proposal."

25 And I could just also add to that

1 that... And we will put this in writing for you, that an  
2 awful lot depends, of course, on best practice.

3                   If things are done properly, certain  
4 things happen. If they're done improperly, other things,  
5 and not very nice things, happen.

6                   In correspondence with Gordon Reevey as  
7 of last night, communication to Bilcon, his statement is the  
8 percentage of ammonium nitrate residue would likely not be  
9 measurable if best practices are used.

10                   Now, we intend to put this into a little  
11 presentation for you along with the reference documents that  
12 you asked for, and we will give that to you before this  
13 Panel terminates.

14                   I would like to ask just, really, a  
15 general question with respect to the model, the CONWEP  
16 model. This is certainly not my field of expertise, and  
17 clearly DFO has very considerable expertise.

18                   But I would like to confirm, and this  
19 was my understanding and I think it had been clearly said in  
20 the documents, that the CONWEP model that we ran was, in  
21 fact, a very conservative model.

22                   Mr. NORMAN COCHRANE: Presumably you want  
23 me to respond to this.

24                   Mr. PAUL BUXTON: Well, let me perhaps  
25 give a quote from DFO's comments on our EIS because we can

1 only respond to communications that are made to us. And it  
2 refers to fish habitats blasting:

3 "Most assertions in this section are  
4 based on the acoustic model study by  
5 Department. Hannay, JASCO Research, and  
6 D. Thompson, LGL Limited, titled 'Peak  
7 Pressure and Ground Vibration Study of  
8 Whites Cove Quarry Blasting Plan'.  
9 Comments on this study have been  
10 provided previously by DFO. See  
11 Appendix 9 of the EIS.  
12 And that was a preliminary.  
13 Several issues were earlier identified  
14 in regard to the study, the most  
15 important pertaining to apparent  
16 quantitative inaccuracies in assessing  
17 how P compressional to S sheer wave  
18 conversions at the water sediment  
19 interface would enhance the amplitude of  
20 P waves transmitted into the water. The  
21 conclusion was that Hannay and Thompson  
22 study probably over-estimated the  
23 compressional wave amplitudes  
24 transmitted into the water column. This  
25 would tend to strengthen the statement

1                   that the model presented represents  
2                   worst case situation."

3                   And that is a direct quote from DFO  
4                   comments. Our response to that was:

5                   "Bilcon agrees with the conclusion that  
6                   the CONWEP model study conducted by  
7                   JASCO Research probably over-estimated  
8                   the compressional wave amplitudes  
9                   transmitted into the water column and  
10                  that this aspect of the model represents  
11                  a worst case situation."

12                  I'd just like a comment on that, please.

13                  Mr. NORMAN COCHRANE: Is it all right if  
14                  I speak to this, Mr. Chairman?

15                  THE CHAIRPERSON: Yes, please.

16                  Mr. NORMAN COCHRANE: Yes. I think  
17                  there's a bit of confusion here.

18                  The CONWEP model is only one component  
19                  of the Hannay and Thompson overall model. We mentioned the  
20                  CONWEP model, which was essentially a model for giving us  
21                  the time domain signature of the compressional wave in the  
22                  bedrock generated by the explosion. That is the CONWEP  
23                  model.

24                  The Oriard model is the model that  
25                  attempts to quantify the transmission of acoustic energy

1 from the bedrock into the water.

2                   And in addition to that, the Hannay and  
3 Thompson study also attempted to look at what happens within  
4 the water wedge itself and how there can be interference  
5 phenomena that tends to decrease the acoustic pressure  
6 signature within that wedge of water itself.

7                   So there are really three different  
8 components, and the CONWEP model is only one of them.

9                   I, myself, am not an expert on the  
10 CONWEP model, and I cannot really give you a very good idea  
11 of just how accurate it is likely to be or at what range it  
12 would give an adequate description of this compressional  
13 wave pulse in the bedrock.

14                   Mr. PAUL BUXTON: Thank you very much. I  
15 would just perhaps like to ask a follow-up question. It was  
16 our intent on this project from September 2002, when an  
17 application was first made, to in fact have a blasting plan  
18 approved so that we could set off test blasts and produce  
19 empirical data, and I would just like a comment on the value  
20 of, let's say, models versus the data that can be gained  
21 from empirical test blasts where we now have concrete  
22 evidence.

23                   Mr. NORMAN COCHRANE: Yeah. I'd like to  
24 go back to some of your earlier comments. I would like to  
25 say that we still...

1                   In fact, in my earlier remarks, I did  
2 support the stated conclusions in that DFO report that  
3 indeed the transmitted pressure wave into the water is  
4 likely to be somewhat lower than was stated in the Hannay  
5 and Thompson report by...

6                   A transmission coefficient lower by  
7 about a factor of five, which probably makes you very happy  
8 so...

9                   But I should also say that there is some  
10 concern about the Hannay and Thompson model, as well as the  
11 reverberation phenomena within the water column is properly  
12 and adequately modelled. So in a sense, that might increase  
13 the acoustic levels within the water column.

14                   But at the same time, the model does  
15 seem to be parameterized fairly conservatively, so... But  
16 there are many uncertainties. It's a very simplistic model,  
17 and I believe what you're trying to imply is that monitoring  
18 is going to be a very important component, and I would  
19 certainly concur with that, and I would certainly encourage  
20 a very comprehensive modelling or monitoring, as opposed to  
21 strict modelling, study.

22                   Monitoring is going to be all-important.

23                   Mr. PAUL BUXTON: I think that that was  
24 the point that I was trying to make, Mr. Chairman, however  
25 complex, and this seems to be an extremely esoteric subject



1 which I don't pretend to understand.

2                   But certainly we do intend to enter into  
3 detailed discussions with DFO's experts to set up the test  
4 blasts to that we can either confirm or amend the sorts of  
5 distances that we've set out, and I think that that's the  
6 position that we've taken from day one, and we're simply  
7 waiting to be able to do the test blasts to be able to do  
8 that.

9                   Just moving on a little bit, and again,  
10 I don't want to get into large debates about these issues,  
11 but perhaps a commentary would be useful. We did have some  
12 information earlier on this afternoon about ship speeds and  
13 the speed of the ship with respect to mortality rates.

14                   But I think we missed out a rather large  
15 section of the discussion, and that is, I wonder whether any  
16 reliable information can be brought forward with respect to  
17 the reliability or, I'm sorry, the probability of a  
18 whale/ship collision, because we can debate what happens  
19 when a ship hits a whale, but what is the probability of a  
20 whale/ship collision in the Bay of Fundy?

21                   Mr. KENT SMEDBOL: There are a series of  
22 analyses that are currently under review. They have not  
23 been peer reviewed. They deal specifically, though, with  
24 the relative probability of collision, not the absolute  
25 probability of collision. So what these analyses evaluate

1 is the probability of having a collision in a particular  
2 area within the Bay, relative to any other area within the  
3 Bay. But it can't, but these analyses can't give you an  
4 answer that says there's a one in one thousand chance a  
5 whale will be struck.

6                           It's... There are statistical reasons  
7 why for that. For instance, we don't know where all the  
8 whales actually are in time and space, so we can't give you,  
9 we can't calculate an absolute value. So I guess the short  
10 answer is at this moment there is not a peer-reviewed  
11 document that can provide that answer. It is an area of  
12 current study, even the absolute analysis.

13                           Mr. PAUL BUXTON: Yes, thank you. We've  
14 found the same thing. We do have at hand a non-peer-  
15 reviewed study, which leads us to believe that the levels of  
16 probability are relatively astronomical, and you may have  
17 access to that document and may want to comment on it.

18                           Mr. KENT SMEDBOL: One comment I can make  
19 is that the probabilities, the magnitude of the relative  
20 probabilities are driven by where the whales are, not by the  
21 ships. I'll leave it at that. So one could understand that  
22 the likelihood of collision, the relative likelihood of  
23 collision is highest in the lane of the traffic lane that  
24 crosses the major concentration of right... Or just is  
25 adjacent to the major concentration of right whales.

1                   So it is the whales that tend to drive  
2 the risk.

3                   Mr. PAUL BUXTON: Yes. Thank you very  
4 much. But I'm just wondering whether anybody has an  
5 estimate of the probability. We know in general terms where  
6 the ship is going. May be some debate about precisely where  
7 it comes off the shipping lanes.

8                   But in broad terms, could you  
9 characterize the level of risk, the probability of a  
10 whale/ship collision?

11                  Mr. KENT SMEDBOL: Again, not in absolute  
12 terms, and I'm not the lead on these analyses. I am  
13 familiar with them, and given they're not peer-reviewed, I  
14 don't know how much I should really speak to them, since I'm  
15 not the author.

16                  But in general, if you can recall the  
17 sightings per unit effort map that was displayed in two of  
18 the, actually one of Bilcon's presentations and also one by  
19 Dr. Taggart, that figure is not greatly different from the  
20 relative probability analysis.

21                  As I said, it tends to be driven by the  
22 whales, but I must stress, this has not been, this has not  
23 made its way through peer review.

24                  Mr. PAUL BUXTON: Thank you very much.  
25 On whales again, I think something else that perhaps was not

1 gone into, we talked about the issue Okay. blasting with  
2 respect to whales, and we have talked about the issue of  
3 whale ship collisions.

4 But I wonder if you could give us some  
5 sort of reference or some picture of, for example, what the  
6 effect of fishing is on whales, for example net  
7 entanglements, and I'm aware of a paper that was produced I  
8 think jointly between Nova Scotia and Scotland within the  
9 last year which talked about the fact that whale watching  
10 tours were now being held to be the most significant problem  
11 with respect to behavioural effects on whales.

12 A comment would be useful.

13 Mr. KENT SMEDBOL: I have some of that  
14 information before me. For context, last winter, in  
15 February, DFO undertook what is called a recovery potential  
16 assessment for North Atlantic right whale, so most of these  
17 statistics that I'll read off in the next little bit are  
18 driven from that analysis.

19 So I do have some information that  
20 relates to that. I'll find the Table. 50 percent of  
21 mortalities in right whale are known to have... Known  
22 mortalities in right whale have a human origin. Of those,  
23 almost all of them are either due to vessel collision or  
24 entanglement.

25 So from 1970 through January of 2006 for

1 known mortalities in North Atlantic right whale... These  
2 numbers include both Canadian and U.S. waters... We have 27  
3 mortalities due to vessel strike, we have eight known  
4 mortalities from entanglement, 12 mortalities are suspected  
5 from entanglement, there are eight whales currently  
6 entangled, 33 have been entangled in the past, and are now  
7 gear free.

8                   We have 21 mortalities for which there  
9 is not a known... To which we could not ascribe a cause,  
10 and this is all excluding neo-natal mortalities, so not  
11 young of the year, 'cause there tends to be a high mortality  
12 among newly born calves.

13                   Some more statistics. From 1986 to  
14 2005, there was 61 confirmed reports of entanglements of  
15 right whale. Of those, a significant proportion have been  
16 entangled more than once.

17                   In fact, over 60 percent of the  
18 population, the last estimate which is not published, but I  
19 have from the right whale consortium, and the New England  
20 Aquarium, is that 71 percent of photographed right whales  
21 have entanglement scars.

22                   Two issues related to detection of cause  
23 of mortality. The first one is that... And I think the  
24 question even the Panel was getting toward this; that if  
25 ships... If vessel collision occurs offshore, we do not

1 know, we don't know what, how many of those that are  
2 actually struck that we detect, and when we do detect and  
3 are able to assess the condition, they're usually well, you  
4 know, well into decomposition. But if they get hit well  
5 offshore, we are not going to detect.

6 In fact, there was a vessel, a whale  
7 that was struck off the coast of Georgia this winter, and  
8 simply... Well, a dead whale was detected floating. We  
9 never could get out to assess it because of weather  
10 conditions, and we lost track of it. It's gone.

11 Another thing is all... So the best way  
12 to characterize this, then, is that known mortalities due to  
13 human causes are underestimate of the actual number of  
14 mortalities caused by human activities. So I already  
15 mentioned vessel strike; what happens if it occurs offshore.  
16 We might not be able... It may escape detection.

17 With entangled right whales, for those  
18 that are chronically entangled, and that end up dying from  
19 that entanglement, they are often in an emaciated state so  
20 they no longer float, or it's highly unlikely that they  
21 would float. So if the animal eventually dies, we may not  
22 detect that death.

23 So there are... We actually have a  
24 statistics in the consortium that is used. If we do not  
25 re-detect an animal after seven years, it's considered dead,

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

1 and a higher proportion of animals that have been entangled  
2 for at least two years fall into that category than the  
3 population at large. So there is some evidence to say that  
4 we are not detecting all of the actual human-induced  
5 mortalities.

6 But that's all that I have with me.

7 Mr. PAUL BUXTON: Thank you very much. I  
8 didn't realize I'd get such a comprehensive answer.

9 Just perhaps another quick comment, can  
10 you... And I was surprised to hear you say that there had  
11 been a detected whale killed from a small vessel, and you  
12 characterized that by being in the 50-foot range, which  
13 would be a standard size, let's say a scallop dragger. Have  
14 you any information in fact to sort of characterize ship  
15 strike mortalities by size of vessel, for example?

16 Mr. KENT: Yeah. In that case, and all  
17 the necropsies are actually undertaken by a team that's led  
18 out of Wood Hole, Woods Hole Oceanographic Institute, so DFO  
19 actually doesn't undertake necropsies but we are party to  
20 the information.

21 There are two known deaths from ship  
22 strike that are likely caused by... My sentence structure's  
23 horrible there. In the last two years, two whales that have  
24 been struck and likely killed by a vessel, it was determined  
25 that it was likely struck by a small vessel, so the first

1 one which I had mentioned was off Campobello in 2005; a  
2 second one off the coast of North Carolina. In that case,  
3 we know it because it was hit, and then the owner of the  
4 vessel reported it. That was about a 50-foot pleasure  
5 craft.

6                   The one that was struck in the vicinity,  
7 in Canadian waters, in the... Around Campobello, an  
8 analysis of the corpse showed from looking at propellor cut  
9 patterns on the corpse, from that and from the mark of the -  
10 skeg which was visible through the cut pattern, one can  
11 determine approximately the size of the prop that struck  
12 that animal. And from that, that information was sent to a  
13 marine engineer and a marine architect, and they said the  
14 best guess was that prop size was between 26 to 30 inches.  
15 So it was obviously struck by a small vessel. Whether that  
16 vessel was a commercial vessel or a private vessel, we don't  
17 know.

18                   So the point is right whales can be  
19 killed by vessels of all sizes. The manner of their death  
20 is different. So in that case, it was probably blood loss.

21 In necropsies of dead whales, there's a second type of  
22 cause of mortality, and this is usually extreme blunt force  
23 trauma, and this is the one that we consider likely to have  
24 occurred from large vessels over 300 gross registered tons.

25 So in those necropsies, you can see, for instance, jawbone



1 completely broke.

2                   There's one case last year where the  
3 skull was actually cracked in two. The very large  
4 broad-scale injuries that are consistent with extreme blunt  
5 force trauma, and we would consider those to be consistent  
6 with impact from a large vessel.

7                   Mr. PAUL BUXTON: Thank you very much.  
8 The... My previous question actually had two parts, and you  
9 answered one at great length and in great detail, but the  
10 second one was concerning a recent study 2006 between a  
11 Scottish university and a Nova Scotia university that  
12 reported to find that whale watching was the biggest cause  
13 of behavioural changes in whales. If you could comment on  
14 that, I'd appreciate it.

15                   Mr. KENT: Yeah, I'm somewhat familiar  
16 with that study, and this is... We acknowledge even within  
17 Fisheries and Oceans science that this is a knowledge gap  
18 that we have to fill. We actually had our own pilot study  
19 to evaluate behavioural responses to ship, to vessels in the  
20 Bay of Fundy, but we've been unable to secure further  
21 funding for that.

22                   In that particular study, it looks at  
23 what is considered chronic visitation of individual animals  
24 so that the view in that particular paper is that these  
25 animals were exposed at, to small vessels, whale-watch

1 vessels, or also private vessels, for an appreciable time  
2 during the day, and the view of those researchers was that  
3 this, in their interpretation, was interfering with those  
4 animals' ability to undertake their daily requirements for,  
5 you know, feeding and socializing and that sort of thing.

6 Well, that was their conclusions. There  
7 is, among whale researchers, some acknowledgement that this  
8 could indeed be occurring. On the west coast, for instance,  
9 with transient killer whales, there are rules about not only  
10 how close you can approach those pods, but for how long you  
11 can stay on an individual pod.

12 We have done some back in the envelope  
13 calculations based on mark recapture photography of  
14 individual whales.... We can identify individual right  
15 whales by their markings.... That for instance one whale in  
16 2004 was visited 14 times in one day, 'cause we had 14  
17 photographs from different proprietors. So there's no doubt  
18 that this may be an issue. We have not properly evaluated  
19 it, though.

20 Part of the problem is determining...  
21 The real kicker for this is determining impact of those  
22 visitations, because the variant, the change in behaviour  
23 among individual whales is extremely variable, so it  
24 requires a fair bit of data to be able to pick out patterns  
25 that we could then relate perhaps back to that human

1 activity. But we fully acknowledge this is a... At least  
2 from DFO science, we consider this a knowledge gap.

3 Mr. PAUL BUXTON: Thank you very much.  
4 And finally we've had some doubts with respect to the  
5 capacity of observers at whatever height and with whatever  
6 techniques being able to detect varied mammals in the water  
7 at various distances.

8 I believe that the last time that we met  
9 with DFO, or perhaps second-last time, we did discuss the  
10 state of the art and the development of detection devices to  
11 assist in this kind of thing, and I wonder whoever would be  
12 the appropriate person could comment on that, at this time.

13 Mr. MIKE MURPHY: Yeah. Unfortunately,  
14 there's nobody here who was at that, who was present at that  
15 meeting. I think earlier on Kent gave a fairly good  
16 overview of the process that they use in science for  
17 observation, and certainly that, you know, that gives you a  
18 sense of the protocols, or a sense of the concerns that we  
19 may have.

20 Mr. KENT: There is one addition that  
21 actually I forgot in my evaluation. When the Panel had  
22 asked me to... About the probability of detecting animals  
23 at distance. If you have a stable platform, you can also  
24 employ what are called "Big Eye" binoculars, which... I  
25 don't know if you've ever seen them, but they're... And

1 they can basically take you out to the horizon, but the...  
2 And these are used on large, stable platforms such as large  
3 vessels. The National Marine Fishery Service uses them on  
4 their surveys.

5 But again, you need good sea state.  
6 That's still a factor. There's no doubt that... It may not  
7 help you in the original detection, but it may help you in  
8 honing on that cue, and determining the species.

9 The other issue would be passive  
10 acoustic detection of animals. That's sort of considered  
11 state of the art.

12 Mr. PAUL BUXTON: Thank you very much. I  
13 think at that meeting we did say that we would commit to  
14 whatever new devices were, had been devised for the  
15 detection of marine mammals, and it seemed that the state of  
16 the art, at that time, was not quite developed.

17 I think if I could just turn to my  
18 colleagues just to see whether that is complete, if you  
19 wouldn't mind, Mr. Chair.

20 --- Pause, conferring with colleagues)

21 Thank you, Mr. Chair.

22 And I would like to say, at this stage,  
23 that we have been meeting with DFO officials since July  
24 2002. We've had a significant number of meetings on a large  
25 number of issues, and I would, on behalf of the company,

1 like to, at this time, thank DFO for their professional  
2 advice to us over the years. We very much appreciate it.  
3 Thank you, Mr. Chair.

4 THE CHAIRPERSON: Thank you, Mr. Buxton.  
5 I think there are a couple more questions from the Panel  
6 that have surfaced since, so Gunter?

7 Mr. GUNTER MUECKE: Yes. I would like to  
8 briefly come back to the blasting model and the test blast.

9 The blasting model is a numerical model  
10 which involves large uncertainties. I think that we have  
11 established that. And I would like to have your comments on  
12 the value of a single test blast in evaluating a model of  
13 this type.

14 Mr. NORMAN COCHRANE: Well, I think there  
15 are two types of test blasts that one might consider. One  
16 might be the detonation of a single shot hole, and the other  
17 would be the detonation of a pattern of shot holes similar  
18 to what would be utilized during the operational phase of  
19 the quarry, which could involve something like 50, 60 or  
20 maybe more shot holes.

21 And I think really both of these should  
22 of these should be done. For one thing, I think the  
23 detonation of a single shot hole could be quite valuable in  
24 determining whether reverberation effects within the water  
25 layer are quite significant or not, and I personally am not

1 quite certain as to the significance of this, and I think  
2 you have to realize that these models are very simplistic,  
3 and whereas the physics are very complicated, and certainly  
4 the use of a single blast, a single shot hole blast would  
5 give us some confidence that we have really captured the  
6 complexity of the phenomena.

7                   Mr. GUNTER MUECKE: Thank you. Just in  
8 my memory, a similar model was evaluated, or they tried  
9 evaluate at another quarry. This was respect to damage to  
10 buildings, and it actually, in terms of testing it, they  
11 suggested that it would take at least a dozen events to test  
12 the model to some level of satisfaction. Is that a  
13 realistic evaluation that it would take?

14                   Mr. NORMAN COCHRANE: I would say the  
15 more events that can be tested, the better, yes. But  
16 certainly even if the physics is really not properly covered  
17 by the simplistic model, by a great margin, maybe even one  
18 test would disclose that. But certainly the more you have,  
19 the better.

20                   I mean, there are many approximations  
21 and simplifications have gone in this. We don't consider a  
22 rough interface, the fact of scatterers, boulders, that sort  
23 of thing, and also I think there could be disagreement as to  
24 exactly what the slope of the interface is, or how it is  
25 really oriented, as well, with respect to the blast. I

1 don't think the geometry of the monitoring has been very  
2 well defined.

3 Mr. GUNTER MUECKE: And the model assumes  
4 homogeneity?

5 Mr. NORMAN COCHRANE: Yes.

6 Mr. GUNTER MUECKE: As a geologist as  
7 opposed to a geophysicist, I never look at a rock body and  
8 think of it as being homogenous.

9 Mr. NORMAN COCHRANE: Certainly if there  
10 are systematic refraction effects, then that could affect  
11 the effective angle of incidents of the blast waves onto the  
12 base of the water column, and the propagated energy into the  
13 water column is very critically dependent upon that angle of  
14 incidents.

15 Ms. JILL GRANT: We don't have time to  
16 get into all of the, those species that are listed under  
17 CEAA. We had a fair bit of time to talk about whales,  
18 but... The right whale, but I wonder if you could endeavour  
19 to come back with(sic) us with a summary table of the  
20 species listed under CEAA that apply in the marine  
21 environment in this Project, and identify the potential  
22 effects on each, and whether the effects are likely, as  
23 defined under CEAA... Whether the likely effects are  
24 adverse, and whether they're mitigable, and whether a CEAA  
25 permit would be required.

1                   If you could do a summary table on that  
2 for all of the species, that would be very helpful for us.

3                   Mr. TED POTTER: We'll do it.

4                   Ms. JILL GRANT: Thank you. By the 29<sup>th</sup>  
5 is okay?

6                   Mr. TED POTTER: [Inaudible].

7                   Ms. JILL GRANT: Thank you very much.

8                   THE CHAIRPERSON: Okay, I think...

9                   Mr. PAUL BUXTON: Mr. Chair, I wonder...

10                  THE CHAIRPERSON: Yes?

11                  Mr. PAUL BUXTON: I think a new element  
12 was introduced...

13                  THE CHAIRPERSON: Yes.

14                  Mr. PAUL BUXTON: ...and I think...

15                  THE CHAIRPERSON: Yes, of course.

16                  Mr. PAUL BUXTON: ...I must comment on  
17 it. I don't believe that we've ever talked about a single  
18 test blast. We reference in our document an initial blast.  
19 In all our discussions, we've talked about whatever  
20 information we need to do to test the model, and find out  
21 what is happening, and I think that that would be our  
22 commitment.

23                               And I would also make the point here  
24 that since 2002, when we first tried to, I guess, have a  
25 blasting, an initial blast, and a test blast put in place,



1 at that time, we had a quarry on the site, a permitted  
2 quarry. And hence we came under the Rules and Regulations  
3 of Nova Scotia Department of Environment and Labour.

4 Later on we dropped the permit to that  
5 quarry, and I would say that when the quarry ceased to be  
6 there, we could have, in fact, had our test blasts on the  
7 site. We were only prohibited from holding that test blast,  
8 because we held a quarry permit.

9 And I think that what we have tried to  
10 do here is to be very reasonable with the process, and not,  
11 I suppose, be somewhat inflammatory by setting off test  
12 blasts to get this empirical data which I think you will all  
13 agree would have been very valuable to present to this  
14 Panel.

15 But there has been nothing to stop us  
16 setting off a blast on that site since we gave up the quarry  
17 permit.

18 Now having said that, DFO will very  
19 quickly remind you, and very correctly that had we killed a  
20 fish, or had we harmed a mammal, we would be in very serious  
21 trouble, but the fact of the matter is that we could have  
22 conducted that sort of experiment, and chose not to do so.

23 So that I think it is wrong to leave it  
24 out there that we are supposing that one test will do it,  
25 and that's a fix, and we gain all the information. I don't

863  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 believe that we've ever said that. We will do whatever we  
2 need to do to gather the empirical data to establish the  
3 accuracy of the models that we've run, and then we'll  
4 proceed on that basis with our blasts. Thank you.

5 THE CHAIRPERSON: Thank you, Mr. Buxton.

6 Okay, we now... First, any questions that would come from  
7 Government individuals, Federal or Provincial, to DFO?  
8 None? Okay. Mr. Sharpe had his hand up first, I guess.  
9 Quick off the mark.

10 **PRESENTATION BY THE DEPARTMENT OF FISHERIES AND OCEANS -**  
11 **QUESTIONS BY THE PUBLIC**

12 Mr. ANDY SHARPE: I'd like to follow up  
13 on a line of questioning from Dr. Muecke earlier on the  
14 number and series of blasts as part of an overall explosion.

15 The DFO representatives made a number of  
16 predictions of impacts on whales, fish and lobsters to  
17 blasting. This morning we had a discussion on the amount of  
18 the ANFO that would be used every two weeks. I think 20  
19 tons was the number that was put forward.

20 A quick back at the envelope calculation  
21 at 45 kilograms per charge suggests something in the order  
22 of 400 charges per overall blast, so my question for the DFO  
23 representatives would be do they feel there's any need to  
24 modify their predictions for blasting on whales, fish and  
25 lobsters, in light that there will be in the order of 400

864  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 individual charges, particularly taking into account  
2 behavioural and sub-lethal effects?

3 Mr. NORMAN COCHRANE: Well, I didn't  
4 believe that there would be as many as 400 shot holes  
5 detonated at once. I thought it was more of the order of  
6 40, 50, 60, something of that order.

7 I think what we stated this morning  
8 referred, or this afternoon, referred to one shot hole that  
9 the predicted levels at 500 metres I think was... And I  
10 think there was some other levels that were quoted, as well,  
11 for closer distances. Those referred to the detonation of  
12 one shot hole, and I personally believe that those probably  
13 are not good estimates, if there would be multiple  
14 detonations; that is an operational-type blast involving  
15 many tens of shot holes.

16 However, I think it is one of the  
17 reasons that we wanted to institute a monitoring program,  
18 because this is somewhat of an unknown, and has not been  
19 properly modelled.

20 THE CHAIRPERSON: Thank you. Mr.  
21 Morcocchio, and I go right down the list.

22 Mr. MIKE MURPHY: If I could, I think  
23 it's... I'd like to follow up on Norman's point that we  
24 really were suggesting that after the initial blast, the  
25 initial test, the idea was to look at the predictions that

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

865  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 had been made, and then evaluate the program and see what  
2 type of mitigation measures should be put in place at that  
3 stage.

4 I don't think we really said we  
5 predicted a lot of things at this stage. The idea is to  
6 have some safety zones set up, and have that initial  
7 blasting, and then look at mitigation and where we are in  
8 terms of the prediction, right?

9 Mr. NORMAN COCHRANE: Certainly if we did  
10 have some field data from single shot hole detonations, it  
11 would certainly give us a much better basis to determine  
12 whether these levels would be significantly enhanced by  
13 multiple shot hole detonations.

14 As I said earlier, this model is very  
15 simplistic, and it depends upon interference effects in the  
16 water column, in many cases, to shorten the effective length  
17 of the acoustic pulse as measured within the water column,  
18 itself. That may or may not be sufficient to prevent the...  
19 May call stacking or accumulation of multiple acoustic  
20 events, the pressure pulse, to very high levels.

21 And certainly if we had monitoring  
22 results from single, a single shot or shots, it would give  
23 us a better basis for knowing whether the... Inserting  
24 simple delays between the shot holes, time delays, would be  
25 sufficient to prevent the stacking and the accumulation of

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

866  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 the acoustic energy.

2 Mr. BRUNO MORCOCCHIO: Bruno Morcocchio  
3 of the Sierra Club of Canada. Document 1637 on the Public  
4 Registry is the comments from the Sierra Club of Canada on  
5 the adequacy of the EIS, and it refers, in part, to an  
6 Environmental Assessment Best Practice Guide for Wildlife in  
7 Canada, Canadian Wildlife Service, Environment Canada,  
8 February 2004.

9 I'd like to read some of these best  
10 practices that will help me frame the question that I have  
11 about some of the interventions and recommendations that DFO  
12 has made. It says:

13 "Describe project effects on wildlife  
14 and risk with vigour and detail  
15 reflecting the current understanding of  
16 the ecology of the species. Use status  
17 reports, recovery strategies, action  
18 plans, and species management plans as  
19 main information sources where  
20 available, and consult with wildlife  
21 experts, specialists and local and  
22 Aboriginal communities. Consider all  
23 direct, indirect and cumulative effects  
24 in the analysis. Tolerance of risk  
25 impacts should never be lower for

DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 wildlife at risk than for other species.  
2 Uncertainty should not be used to allow  
3 a project to proceed, but rather should  
4 require further work to demonstrate that  
5 the project will not affect the species  
6 before it's allowed to proceed. Where  
7 there is a threat of serious or  
8 irreversible harm, that is significant  
9 adverse effect to wildlife at risk, or a  
10 threat of significant reduction or loss  
11 of biological diversity, the  
12 precautionary approach should be  
13 applied, which means lack of full  
14 scientific certainty should not be used  
15 as a reason for postponing measures to  
16 avoid or minimize such a threat.  
17 Adaptive management is not a solution  
18 where harm may be irreversible.  
19 Adaptive management, also referred to as  
20 adaptive resource management, is a  
21 management and learning process  
22 developed to meet the challenges of  
23 managing resources in the face of  
24 uncertainty, with a focus on monitoring  
25 and assessing the outcomes of decisions

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 to reduce the uncertainty in the future.

2 It can only be applied in cases where  
3 harm is reversible, since it implies  
4 that mid-course correction should be  
5 made as required. The onus of proof  
6 should be on the Proponent to  
7 demonstrate to the satisfaction of the  
8 decision maker that the adverse effects  
9 on wildlife at risk, or biological  
10 diversity are not significant. The  
11 level of caution should be proportional  
12 to the level of threat, recognizing that  
13 in some situations, no risk is  
14 acceptable, determine by factors such as  
15 the following: Populations present, or a  
16 number of individuals."

17 I think we can agree that the right  
18 whale population certainly meets this test that would demand  
19 the highest level of caution, and one would also expect that  
20 DFO would have "operationalized" these best practices  
21 principles in their assessment of the impacts of the  
22 proposed quarry.

23 Yet many of the recommendations seem to  
24 be adaptive management measures. You point out quite  
25 rightly so, on slide one, that any additional shipping the

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 Bay of Fundy increases the potential for collisions with  
2 marine mammals, including right whales.

3                   You point out on slide four that how  
4 mitigation...

5                   THE CHAIRPERSON: Mr. Morcocchio, is this  
6 going to a question?

7                   Mr. BRUNO MORCOCCHIO: Yes, it is, and...  
8 Yes.

9                   Troubling also is the uncertainty about  
10 the impacts within the 500-metre range from the percussive  
11 events and between 500 and beyond 500 metres, and it's  
12 striking that with not being able to gauge the effects at  
13 less than 500 metres, that with any degree of certainty  
14 beyond 500 metres we can establish that only behavioural  
15 effects will go on.

16                   My point is that many of these  
17 principles outlined don't seem to have been followed, and  
18 will DFO undertake to review their assessment to comply with  
19 these measures set out in these best practices that one  
20 would hope for an endangered species as threatened as the  
21 right whale would be the minimum amount of concern,  
22 particularly the reverse onus, which doesn't seem to have  
23 been applied here by DFO as the regulator.

24                   Mr. MIKE MURPHY: I think we have upheld  
25 what we've had to do under the terms of both the **S**           **A**

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*



870  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 R A , the best practices that you've mentioned, and our  
2 responsibilities as part of this process.

3 If you will notice through this, we  
4 recommend that a lot of this initial, the initial blast  
5 testing should only be done outside of the period when right  
6 whales and inner Bay of Fundy salmon are present. That  
7 gives us some information as to what the effect would be  
8 without a possibility of harm to those endangered species.

9 So I don't really view that as adaptive  
10 management in the sense that you're talking about. I view  
11 it as collecting information that will allow us to see what  
12 the effects could be when those animals are present.

13 I think we've been pretty stringent in  
14 ensuring that it is the Proponent that comes forward and  
15 tells us what they're going to do. We haven't been telling  
16 the Proponent that this is the minimum standard. We've been  
17 telling the Proponent: "These are our concerns. It's up to  
18 you to develop measures, to develop processes that will give  
19 us comfort that we can uphold the standards that we are  
20 supposed to uphold, according to the law."

21 So it... I think I answered it.

22 Mr. BRUNO MORCOCCHIO: I don't think many  
23 of the questions, particular with respect to applying those  
24 principles, have been answered. But I'll move on.

25 I have a particular question about

871  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 the...

2 THE CHAIRPERSON: Mr. Morcocchio, one  
3 question in follow-up.

4 Mr. BRUNO MORCOCCHIO: Oh.

5 THE CHAIRPERSON: So if it's not a  
6 follow-up to this, then we're going to move on. I mean, the  
7 time is late, and I'm sorry to cut you off, but...

8 Mr. BRUNO MORCOCCHIO: We've been  
9 exceptionally patient so far all day today.

10 THE CHAIRPERSON: Mr. Muir, are you...  
11 No, I think Mr. Mullin had his hand up. Yes, please.

12 Mr. DON MULLIN: I'll try to make this  
13 really quick. It's regarding comments that Dr. Smedbol  
14 made, and it has to do with some work done by John Lean  
15 (ph), a Professor Emeritus at Memorial Univeristy, and it  
16 was the same situation that we were discussing in terms of  
17 location.

18 And he published, peer reviewed, in peer  
19 reviewed journals, as well as non-peer-reviewed  
20 publications, indicating that the blasting didn't have an  
21 immediate effect on the whales' behaviour, and he said that  
22 that was the wrong dependent measure to be using to test the  
23 effects of blasting.

24 However, his subsequent work suggested  
25 strongly that what happened is in the area where blasting

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

872  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 occurred, the next season the whales did not return to that  
2 location. So I just want verification of that because Dr.  
3 Lean has retired and no longer practices, so I can't ask him  
4 for verification. But I wonder if I could get a comment  
5 from DFO, and if that's true, what's the implication of  
6 blasting for whale-watching activities in the Bay of Fundy.

7                   Mr. KENT SMEDBOL: I'm only familiar,  
8 actually, with one publication by John on that particular  
9 topic, and it does relate to a change in occupancy in  
10 Belleoram area following... During construction phase. So  
11 that I can, that I can confirm.

12                   The rest of it, I'm afraid I'm a little  
13 distant from that literature. I'd have to get back to the  
14 Panel.

15                   I think, though, in any evaluation of  
16 behavioural impacts to a human activity or to any stimulus,  
17 it's necessary to consider both short and long-term impacts  
18 in that analysis. So if I was designing or, you know, I  
19 think a properly-designed study would not limit the analysis  
20 to a very short-term post-stimulus response.

21                   These animals, particularly white  
22 whales, but all large cetacean, their migration routes and  
23 patterns are learned. So there is a fair bit of individual  
24 input, input from the individual to where and when they are  
25 in time and space. So it is not, it's not like doing tests

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

873  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 on worms. You definitely have to think in multiple temporal  
2 and spatial scales.

3 THE CHAIRPERSON: Thank you. Mr. Moir,  
4 Mr. Hunker, and Ms. Peach.

5 Mr. ANDY MOIR: It's Andy Moir. I hope  
6 this is going to be very, very brief.

7 I just, we've seen a couple of times  
8 now, both from the Proponent and a couple of other slides,  
9 showing this distribution of whales in the Bay of Fundy, and  
10 I guess my question is how do you figure out where those  
11 whales are? Is it based mostly on what the whale boat  
12 watchers report plus some of your own surveys?

13 And the reason I ask this, I guess, is  
14 I'm fairly familiar with at least the whale watch aspect of  
15 this, and I know well that if one whale boat sees a whale,  
16 there'll be no less than seven or eight sort of steaming to  
17 the same area, so you may in fact... And I don't know if  
18 this happens with that, because I'm not a scientist, but you  
19 might have sort of skewed results on where these whales are,  
20 because all of a sudden you're getting a lot of reports from  
21 different whale watch boats that have gone to the same place  
22 because that's where the whales are, or perhaps they're find  
23 a couple of humpbacks off of Beautiful Cove in Freeport, and  
24 because that is so close to where a lot of the whale boats  
25 are, they go and look at those whales, and then they steam

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

874  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 back and get their next group of 35 people to go and look at  
2 the same whales.

3                   So I guess I'm curious, is there a  
4 chance that the very data that you have collected as to  
5 where whales are in the Bay of Fundy may be skewed.

6                   Mr. KENT SMEDBOL: I can address that  
7 question. The answer is yes. But the databases, I assume  
8 most of the information that's been evaluated here has been  
9 provided from the right whale consortium, of which DFO is a  
10 member, but so are many NGOs and Universities and such. And  
11 that database is built from contributions from a number of  
12 sources.

13                   But there are various levels of sources,  
14 if you will. There are opportunistic sources, such as one  
15 example is from contributions from the whale watch  
16 companies, and we have some of that information yourself,  
17 we're very lucky to get that information. But also  
18 information or sightings that are collected from  
19 standardized line transect surveys.

20                   So I would make the distinction, and I  
21 haven't generated the plots that have been shown here today,  
22 but I would make the distinction between those two types of  
23 data. For instance, the plots that both the proponent and  
24 one of the presenters today showed talked about sightings  
25 per unit effort, which was that kind of density plot. That

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

875  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 information, if it came from the Right Whale Consortium,  
2 which is the holder of that information, and has not been  
3 altered, is based solely on formal line transect surveys.

4 Scatter plots may include all  
5 opportunistic data, so I can't comment on the second series  
6 of plots that were shown, but what we call the SPUE, the  
7 sightings per unit effort, the information that was used to  
8 evaluate the lane change, information that is used to  
9 evaluate right whale density and aggregation, that is based  
10 on formal transect methods.

11 THE CHAIRPERSON: I think Mr. Hunka is  
12 next.

13 Mr. ROGER HUNKA: Good afternoon. I'm  
14 Roger Hunka, with the Native Council of Nova Scotia. I have  
15 a series of questions, but I'll restrict it to one and come  
16 back.

17 You weren't here Saturday or Monday, and  
18 it's a similar question as far as consultation goes. We  
19 heard from the Proponent that Nova Scotia Department of  
20 Environment and Labour did not give them instructions to  
21 discuss this project or consult with aboriginal people.  
22 Neither did the Nova Scotia Department of Natural Resources.

23 I ask the question of the Department of  
24 Fisheries and Oceans, who's aware of the Aboriginal peoples  
25 in the area, did you provide any instructions to the

876  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 Proponent in your many meetings since 2002 to consult with  
2 them about their fisheries, be they food fisheries or  
3 commercial fisheries?

4 Mr. TED POTTER: Well, I'll provide two  
5 parts in response. One is, we've directed the Proponent  
6 should discuss interactions with all users in the area, and  
7 that included people involved in the fisheries, and the  
8 fisheries is made up of a number of different sectors,  
9 including Aboriginal fisheries. So in a general sense, yes,  
10 we have.

11 In the Federal fiduciary aspect of  
12 consultation, letters have gone to Native Council, the 13  
13 Chiefs and Councils here in Nova Scotia, and the Mi'kmaq  
14 Rights Initiative, the KMK.

15 Mr. ROGER HUNKA: So in a general way,  
16 but as a follow-up, when you read the Environmental Impact  
17 Statement, it's silent on food fisheries and Aboriginal  
18 commercial fisheries. Is that... Whose fault is that?  
19 Can't blame the Proponent, if you were general about it, and  
20 you have a fiduciary.

21 Mr. TED POTTER: It's, the information  
22 and the discussions with interactions between various  
23 industries, including the fishing industry, and the  
24 Proponent should be led by the Proponent.

25 With regard to our consultation, our

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

877  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 letters have gone out as of late December offering to sit  
2 down and meet with the various Aboriginal groups throughout  
3 the Province at a time and in a forum that's convenient to  
4 them, requesting a response back to, at the time, our acting  
5 manager for major projects, Environmental Assessments and  
6 Major Projects.

7                                 We've had some informal discussions,  
8 including with yourself, but there has been no formal  
9 consultations.

10                                Mr. ROGER HUNKA: So there is no  
11 consultations.

12                                Mr. TED POTTER: It's been offered.  
13 We've sent out a letter that's requested that, and at the  
14 convenience of the...

15                                Mr. ROGER HUNKA: Well, I don't want to  
16 argue with you, but I'm going to the EIS. Are you satisfied  
17 that regardless of whether it was in 2002 or December of  
18 2005 or 2006, whenever your letters went out, that there is,  
19 within the Impact Statement, a paragraph or a sentence  
20 indicating that there Aboriginal food fisheries occurring,  
21 and as well as communal commercial fisheries, in the area.  
22 Do you feel satisfied?

23                                Mr. TED POTTER: There could be a lot  
24 more information provided on the interaction for all  
25 fisheries, including Aboriginal food fisheries and any

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*



878  
DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 ceremonial or recreational fisheries, yes.

2 Mr. ROGER HUNKA: So is it sufficient or  
3 deficient?

4 Mr. TED POTTER: It could be added to  
5 substantially.

6 THE CHAIRPERSON: Mr. Hunka, thank you.

7 Mr. ROGER HUNKA: Alright. I have  
8 another question later on.

9 THE CHAIRPERSON: There's only one round  
10 tonight. I mean, we're running out of... It's already  
11 quarter to five, and we've got two more speakers that were  
12 supposed to go. Mr. Dittrick, no, you're sharing off with  
13 Mr. Marcocchio for Sierra Club. You're...

14 Mr. MARK DITTRICK: I have a point of...

15 THE CHAIRPERSON: Ms. Peach is next, and  
16 we're not going another round either, so I'm sorry.

17 Ms. JUDITH PEACH: I just have a question  
18 about the idea of tipping point.

19 The marine environment is obviously very  
20 stressed, like Mr. Buxton pointed out, from various sources,  
21 and all these at-risk species get stresses from various  
22 sources, mostly human.

23 I'm wondering if the DFO or scientists  
24 have any sort of modelling for incremental increases in  
25 stress. So when do you know when you've pretty much

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1 admitted the last ship that is going to kill the last whale  
2 that makes that species viable? Because there's so many  
3 species in the marine environment that seem to be at risk,  
4 compared to the terrestrial environment, I wonder if there's  
5 any sort of modelling to say how do you know when you've  
6 reached that sort of tipping point for that environment,  
7 considering how inter-related it is?

8 THE CHAIRPERSON: Looks like it's you,  
9 Mr. Smedbol. I heard the word "whale".

10 Mr. KENT SMEDBOL: Well, I actually don't  
11 think the question was specific to whales. It sounded to me  
12 a bit more to the marine environment, or the marine  
13 community, if you will, community of species, and the  
14 questioner put her finger on what might be one of the most  
15 difficult things to model, and that is community dynamics.  
16 Especially changes or influences on community dynamics.

17 We have some simple energy flow models,  
18 state flow models, of community structure within, say, the  
19 larger Gulf of Maine, but what the questioner has asked for  
20 is probably beyond our ability to give a strong answer for.  
21 It is extremely difficult. We're dealing with non-linear  
22 dynamics and flexion points of severe knowledge gaps on the  
23 inter-relationships between species.

24 THE CHAIRPERSON: Ms. Peach, it sounds  
25 like your question is pushing the envelope, so I think...

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

DEPARTMENT OF FISHERIES AND OCEANS  
(QUESTIONS BY THE PUBLIC)

1                   Okay. One last question. Mr. Stanton,  
2 and then I'm going to wrap it up, I think, so that we can  
3 move on.

4                   Mr. KEMP STANTON: I think there's been a  
5 study done in Cape Breton on seismic testing concerning  
6 crabs, and the test found, preliminarily, anyway, that most  
7 of the damage done to the crabs by the seismic testing was  
8 to the ovaries of the female crabs. It didn't kill any of  
9 the crabs and it didn't much affect the males.

10                  My concern is, if that is so, and  
11 there's damage done at Whites Cove by the first few blasts,  
12 how many years would it be before you would be able to  
13 detect that damage by examining the population dynamics?  
14 Because if the ovaries were destroyed, you wouldn't see the  
15 effects for five to eight years.

16                  Mr. JOHN TREMBLAY: Yeah, the study you  
17 mentioned is somewhat controversial in that there was a  
18 control site and an experimental site. Crabs were exposed  
19 to seismic noise at both sites, and there were some sub-  
20 lethal effects, as mentioned, some damage to the ovary, in  
21 the test site.

22                  But a kind of rigorous review of the  
23 experimental design found that the two sites were not really  
24 close enough, similar enough. There were differences  
25 between the two sites such that you couldn't really say for

---

*A.S.A.P. Reporting Services*

*(613) 564-2727*

*(416) 861-8720*

1 sure whether the effects seen were due to the differences  
2 between the control and the experimental site, or due to the  
3 seismics.

4 So there has been some further work on  
5 snow crab. My understanding is that that is, I haven't...  
6 I wasn't at that review meeting, but it's still in review.  
7 Again, there's some controversy as to interpretation of the  
8 results. They're certainly not clear, but there is some  
9 uncertainty about the effects of noise, such as seismic and  
10 probably blasting, on the eggs of decapod crustaceans.

11 THE CHAIRPERSON: Okay. That brings to  
12 the end the DFO portion of this. I'd like to thank you  
13 gentlemen. It has been extremely useful to us and very  
14 valuable, and we do have a couple of undertakings, I  
15 believe, so we'll look forward to seeing those on the 29<sup>th</sup>.

16 Thank you once again.

17 We'll take about a minute or two, just  
18 to get, allow our colleagues here to move off, and then we  
19 have two presentations, actually, one by Jerry Ackerman and  
20 a second one by Leslie Wade and Linda O'Neil.

21 --- Pause

22 **PRESENTATION BY GERRY ACKERMAN**

23 THE CHAIRPERSON: As I indicated, we have  
24 two presentations. The first will be by Gerry Ackerman.

25 Mr. JERRY ACKERMAN: I thank the panel